

U.S. DEPARTMENT OF ENERGY
MINERALS MANAGEMENT SERVICE
OFFICE OF ENVIRONMENTAL EVALUATION

AND

ARGONNE NATIONAL LABORATORIES

+ + + + +

PUBLIC SCOPING MEETING

ON

GREATER-THAN-CLASS C LOW-LEVEL RADIOACTIVE WASTE
ENVIRONMENTAL IMPACT STATEMENT

MONDAY

AUGUST 27, 2007

6:00 P.M.

COMFORT INN & SUITES
COLUMBIA GORGE WEST
477 NW PHOENIX DRIVE
TROUTDALE, WASHINGTON 97060

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

CONTENTSPublic Comment Moderator:

Holmes Brown

Present for the Agency:

Christine Gelles, Director
Office of Disposal Operations
Office of Environmental Management
U.S. Department of Energy
Cloverleaf Building (EM-12)
1000 Independence Ave., SW
Washington, DC 20585
(301) 903-1669

GEORGE DIXON, Senior Technical Advisor
GTCC EIS
Department of Energy

JOEL KRISTAL
Office of Disposal Operations
Department of Energy

JAMIE JOYCE, GTCC EIS Document Manager
Department of Energy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

<u>Public Commenters:</u>	<u>PAGE</u>
Mary Gautreau	36
Ken Niles	39
Natalie Trayer	42
Greg de Bruler	44
Bill Mead	52
Bob Hedlund	58
Cherie Lambert-Holenstein	61
Dr. Joyce Young	63
Keith Harding	66
Gerry Pollet	68
Angela Crowley-Kuch	75
Ruth Curpiz	78
Dr. Catherine Thomasson	79

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

<u>Public Commenters (Cont'd.):</u>	<u>PAGE</u>
Paige Knight	82
Karen Harding	88
Shannon Palermo	90
Liz Gilbert	91
Chuck Johnson	92
Tiago Denczuk	95
Les Davenport	97
Dona Hippert	101
Lloyd K. Marbet	104
Catherine Chudy	109
Louisa Hamachek	111
Rachel Pecore	115
Daniel Swink	116
Terry Hammond	118
Carol Earnert	119
Les Davenport	120
Bob Hedlund	122

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(6:41 p.m.)

1
2
3 MR. BROWN: Good evening. Welcome to this
4 public scoping meeting on the Proposed Environmental
5 Impact Statement for the disposal of greater-than-
6 class C low-level radioactive waste. The development
7 of an environmental impact statement for this project
8 by the Department of Energy's Office of Disposal
9 Operations is required by the National Environmental
10 Policy Act.

11 My name is Holmes Brown. I will serve as
12 the facilitator for this evening's meeting. My role
13 is to ensure that the meeting runs on schedule, and
14 that everybody has an opportunity to speak. I'm not
15 an employee of the Department of Energy nor an
16 advocate for any party or position.

17 At the registration table, you should've
18 received a green participant's packet. If not, please
19 raise your hand, and we can bring one to you. It
20 contains important information on the presentation and
21 is a convenient place to take notes during the
22 briefing that will follow in a few minutes.

23 So -- okay -- we've got one, two -- and
24 we've -- okay -- we've got two more. Anybody else?
25 Okay. All right. Fine. Good.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There are three purposes for tonight's
2 meeting. First is to provide information on the
3 content of the proposed environmental impact
4 statement, or proposed EIS, and on the National
5 Environmental Policy Act, also known as "NEPA," that
6 governs the process. The second is to answer any
7 questions on the proposed EIS and on NEPA. And third,
8 to receive and record your formal comments on the
9 proposed EIS. The agenda for tonight's meeting
10 reflects these purposes.

11 We'll begin with a presentation by Ms.
12 Christine Gelles regarding the Proposed Environmental
13 Impact Statement for the disposal of greater-than-
14 class C waste. Ms. Gelles is the Director of the
15 Office of Disposal Operations, which is the DOE office
16 charged with preparing the EIS.

17 To answer your questions, project staff
18 will be available throughout the evening at the
19 display of posters in back. They can discuss the
20 proposed EIS, NEPA, the contents of the printed
21 materials in the participant's packet, and also the
22 contents of the DOE presentation.

23 Following Ms. Gelles's presentation, we
24 will recess briefly so the public can follow up with
25 any questions that may occur as a result of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentation. Once we reconvene, the court reporter
2 will be available to receive your comments and
3 suggestions regarding the scope of the proposed EIS.
4 All your comments will be transcribed and made part of
5 the permanent record.

6 We'll begin with a presentation by Ms.
7 Christine Gelles. She will discuss the background of
8 the project and the purpose and basic elements of the
9 proposed EIS.

10 MS. GELLES: Good evening, ladies and
11 gentlemen, and welcome to the greater-than-class C
12 low-level radioactive waste Environmental Impact
13 Statement public scoping meeting. I will refer to the
14 document throughout the presentation as the GTCC EIS.
15 My name is Christine Gelles, and I am the Director of
16 the Office of Disposal Operations, which is at the
17 Department of Energy Headquarters within the Office of
18 Environmental Management.

19 My office is the office with the statutory
20 responsibility to develop the environmental impact
21 statement to analyze disposal alternatives for
22 commercial greater-than-class C low-level waste. We
23 have been charged by Congress to do this and to take
24 actions related to preparing this EIS. This NEPA
25 process, which we are now in the public scoping

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 period, is a very important process. It's one where,
2 without public input, we would not be able to proceed
3 with a document that is comprehensive. And I'm very
4 pleased for that reason to see you all here. This is
5 the largest -- by far the largest attendance that
6 we've had at any of the public scoping meetings to
7 date. I think it's a real testament to your interest
8 and commitment to ensuring that we had a quality
9 document.

10 This meeting is your opportunity to
11 present your comments, your concerns, your issues,
12 your suggestions regarding the scope of the GTCC EIS
13 as we have it currently proposed. The poster boards
14 in the back provide you some information. The
15 materials in your folder provide a little bit more
16 detail. And again, we have brought the entire project
17 team here so we can answer your questions throughout
18 the evening.

19 All comments received through this process
20 will be very carefully considered as we work through
21 the process of analyzing and developing a disposal
22 capability for greater-than-class C low-level waste.

23 The National Environmental Policy Act,
24 referred to as "NEPA," requires that an environmental
25 impact statement be prepared for any major federal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 activity that has the potential to impact the quality
2 of the environment. The Department has determined
3 that the development of a GTCC disposal capability
4 constitutes a major federal action, and therefore
5 needs to be analyzed throughout an environmental
6 impact statement. We are in the beginning stages of
7 the NEPA process, with the primary focus at this time
8 being the identification of the scope of the GTCC EIS,
9 including proposed disposal alternatives, such as
10 disposal locations and disposal methods.

11 The comments we receive here tonight will
12 be considered in preparing a draft environmental
13 impact statement. That draft environmental impact
14 statement will then be made available for public
15 comment, and the comments received on that draft
16 document will be carefully considered as we work to
17 prepare a final environmental impact statement.

18 As I will discuss later in this
19 presentation, and probably repeat several times,
20 before we can make a decision on ultimately the
21 disposal solution for greater-than-class C low-level
22 waste, the alternative or the alternatives to be
23 implemented, DOE must first report to Congress on the
24 alternatives that were considered and await their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 action before implementing the record of decision or
2 the preferred alternative.

3 Let me be clear. You can see that we have
4 just started this process, and we have several years
5 of careful analysis ahead of us and work ahead of us
6 before we will be ready for implementation. And
7 again, Congress will have a role in that
8 implementation.

9 Before I get started with the slide
10 presentation, I thought it would be helpful if I
11 provide you with just a brief description of what
12 greater-than-class C low-level waste is, and we'll get
13 into it in a little more detail throughout the slides.
14 GTCC low-level waste is generated from commercial
15 activities, such as the production of electricity from
16 nuclear reactors. It also is produced when
17 radioactive sealed sources which are used in common
18 everyday practice, such as the diagnosis of cancer,
19 when they become disused or discarded, they may become
20 greater-than-class C low-level waste.

21 The volume of greater-than-class C low-
22 level waste is small compared to the other three
23 classes of commercial low-level waste that is
24 generated throughout the nation and regulated by the
25 Nuclear Regulatory Commission. Those classes are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 classes A, B and C. And again, one of the poster
2 boards in the back provides you with a description of
3 those various classifications. But greater-than-class
4 C low-level waste has a higher concentration of
5 radioactivity, and therefore it requires special
6 disposal considerations.

7 A copy of the presentation is in the green
8 folders. You can follow along. Hopefully you'll have
9 some room for making some notes or taking down
10 questions that we can take during the recess. It will
11 also be posted on the GTCC EIS website. That web
12 address is on the next to last slide in the
13 presentation, as well.

14 So let's get into the slides. Can you see
15 this okay, or do I need to turn some lights down in
16 the front? It's okay? Great. Thank you.

17 The publication of the Notice of Intent
18 serves several purposes for the Department of Energy.
19 It was issued on July 23rd, 2007, and then a
20 correction was posted on July 31st to correct a
21 printing error that occurred in the inventory table,
22 which is a very important part of the Notice of
23 Intent. A copy of both the original notice and the
24 correction are included in the folder.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The Notice of Intent announced the
2 Department of Energy's intent to prepare an
3 environmental impact statement for disposal of
4 greater-than-class C low-level waste. It also
5 announced our intent to include DOE's greater-than-
6 class C-like waste streams in the same document. It
7 formally initiated the environmental impact statement
8 process. It requested public comment on the proposed
9 scope of the EIS and announced these public scoping
10 meetings. It provided some summary information on the
11 greater-than-class C low-level waste stream and the
12 DOE greater-than-class C-like waste inventories, which
13 together over the life cycle of generation that we're
14 analyzing in this -- that we propose to analyze in
15 this document total just over 5600 cubic meters.

16 I want to put that volume of waste in
17 context -- not to minimize it -- because although it
18 is a small volume, again, it has a significant amount
19 of radioactivity. But 5600 cubic meters is less than
20 the transuranic waste that was shipped to Waste
21 Isolation Pilot Plant in Carlsbad, New Mexico this
22 year alone. In fiscal year 2007 alone, we've shipped
23 over 7,000 cubic meters of waste this year alone.
24 Over 50,000 cubic meters of defense transuranic waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has been shipped to Carlsbad, New Mexico since it
2 opened back in '99.

3 The Notice of Intent identifies the
4 purpose and need for action. It identifies the
5 proposed action. And again, we'll go into these
6 elements in some detail, because this is the proposed
7 scope, and this is the very reason why we are here
8 tonight is to invite and take your comment on these
9 elements. It identifies the proposed disposal
10 locations and the methods and the alternatives, the
11 specific designs.

12 In response to the public comments that we
13 received on the Advance Notice of Intent, which was
14 published in May of 2005, and it identifies that the
15 U.S. Environmental Protection Agency will be
16 participating in this document as a cooperating
17 agency, and the Nuclear Regulatory Commission as a
18 commenting agency.

19 Purpose and need for action. The reason
20 we are here is because NRC and agreement state
21 licensees have generated, and will continue to
22 generate, greater-than-class C low-level waste for
23 which today there is no permitted disposal capability.
24 Again, I want to be clear, we're talking over the life
25 cycle about a relatively small volume of waste as we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 propose it today. But some of it does exist today.
2 And until we proceed with this EIS and ultimately
3 select a disposal site, that waste stream has no
4 disposal outlet.

5 DOE has a statutory responsibility for
6 developing the disposal capability for this waste.
7 And we'll talk about those specific statutory
8 requirements in some detail. We also own and generate
9 certain low-level waste and transuranic waste streams
10 that have characteristics very similar to the
11 commercial greater-than-class C waste, but which today
12 we do not believe have a disposal pathway. We refer
13 to this as DOE greater-than-class C-like waste. We
14 will discuss the waste inventories and drivers in a
15 little bit more detail in the slides to come.

16 There are three primary legislative
17 drivers to developing a disposal capability for GTCC
18 low-level waste and for doing this environmental
19 impact statement. The first and most foundational is
20 the Low-Level Radioactive Waste Policy Act Amendments
21 of 1985. It is this statute that gave specifically
22 the Department of Energy the responsibility for
23 developing the greater-than-class C low-level waste
24 disposal capability. The National Environmental
25 Policy Act -- or "NEPA" -- of 1969 requires federal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 agencies, such as the Department of Energy, to
2 consider the environmental impacts of our proposed
3 action and alternatives to those actions in the
4 decision-making process. It establishes the framework
5 for public input, which is incredibly important to our
6 evaluation.

7 Then more recently, the Energy Policy Act
8 of 2005 gave us two specific requirements to move us
9 along in this EIS process. It requires the Department
10 to submit a report to estimate the cost and schedule
11 for completing the EIS and reaching a record of
12 decision. We did submit that report in July of 2006.
13 That report is available on our DOE Greater-Than-
14 Class C Project webpage. And again, you have that
15 link in the slides.

16 It also requires the Department to submit
17 that report on the alternative or alternatives
18 considered through the EIS, including the other types
19 of information that were previously required in a 1987
20 report to Congress required by the Low-Level Waste
21 Policy Act Amendments of '85. And we must await
22 Congress's action before we implement a record of
23 decision. That report to Congress will be submitted
24 after the final EIS is issued, and will be in large
25 part a summation of the EIS identifying the specific

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actions that might be required by Congress to
2 facilitate implementation of a disposal solution.
3 Again, what this means is that DOE will be unable to
4 take action as a result of this document without the
5 support and involvement of Congress.

6 So what is greater-than-class C low-level
7 waste? Well, before you can understand greater-than-
8 class C low-level waste, we have to talk about what
9 low-level waste is. Unfortunately, the statutory and
10 regulatory definitions are rather complicated, because
11 it defines -- they define low-level waste by what it
12 is not. Low-level waste is not high-level waste.
13 High-level waste is produced from the reprocessing of
14 spent nuclear fuel. Low-level waste is not spent
15 nuclear fuel, nor is it byproduct material. It is
16 basically any other waste form that contains
17 sufficient concentrations of radioactivity that it
18 meets the classifications of the NRC regulations and
19 requires isolation from the environment or within the
20 environment for permanent disposal.

21 It comes in many forms -- clothing,
22 equipment, tools, discarded household items, things
23 like smoke detectors and exit signs. It also comes in
24 the form of soil, water treatment residues, anything
25 that's become contaminated with radioactive material.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's generated from a wide variety of commercial and
2 government activities, such as production of
3 electricity, medical treatment and research.

4 As most of you probably know, Nuclear
5 Regulatory Commission classifies low-level waste into
6 four classes, A, B, C and greater-than-class C, or
7 GTCC, based on the concentrations of specific short-
8 lived and long-lived radionuclides. Greater-than-
9 class C has the highest radionuclide concentration.
10 It requires the most elaborate disposal mechanism of
11 the four classes. A, B and C low-level waste can be
12 disposed of in near-surface disposal facilities.
13 Those are commercially available in private industry.
14 One of the three commercial facilities is located in
15 Richland, Washington, the U.S. Ecology facility.

16 The NRC requires that greater-than-class C
17 low-level waste be disposed of in a geologic disposal
18 facility, a geologic repository licensed by the NRC,
19 unless alternative methods of disposal are proposed to
20 the NRC and approved by the NRC. It is that exception
21 that allows us to consider alternate disposal
22 technologies, as well as geologic repository in this
23 EIS.

24 The NRC disposal requirements also require
25 certain stability and protection measures to prevent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inadvertent intrusion following disposal. And that
2 applies for not just greater-than-class C, but also
3 class A through C.

4 Greater-than-class C is low-level waste
5 that exceeds the concentration limits of radionuclides
6 defined by the NRC for class C low-level waste.
7 Again, it's generated by the NRC and agreement state
8 licensees throughout the United States. It can
9 generally be divided into three waste types, and we'll
10 talk about each of these three in some detail.

11 Activated metals. These are primarily
12 generated in nuclear reactors during facility
13 decommissioning. They consist of the components of
14 the reactor, such as thermal shields, that have become
15 radioactive through neutron absorption during reactor
16 operations. This photo at the right is a picture of a
17 radiation survey being conducted on an activated metal
18 component from the decommissioning of a small research
19 reactor. Currently, there are 104 operating nuclear
20 reactors in the United States. Eighteen have been
21 decommissioned. Some of those 18 have stored their
22 greater-than-class C low-level waste generated through
23 those decommissioning activities at their
24 decommissioned reactor site alongside of the spent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nuclear fuel that is awaiting permanent disposal, as
2 well, in another geologic repository.

3 Sealed sources. This is the second major
4 waste stream within the greater-than-class C
5 inventory. It's typically small, highly radioactive
6 materials that are encapsulated in the closed metal
7 container which provides the shielding from the
8 radioactive material itself. These are used in common
9 applications. They are found widely throughout the
10 United States.

11 As we were preparing to publish letters of
12 intent, we had a number of inquiries from various
13 reporters. They said, you know, what site generates
14 greater-than-class C low-level waste? What state has
15 the most? And the truth is all states generate
16 greater-than-class C low-level waste because sealed
17 sources are so widely used throughout the medical
18 industry, and the welling and logging industry, as
19 well.

20 This picture here is a very small
21 radiography source. There can be sealed sources that
22 come in larger sizes, as well. Not all sealed sources
23 are greater-than-class C. Many are class A, B or C,
24 and can be disposed of in those existing commercial
25 disposal facilities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We do believe that one of the reasons that
2 Congress included those specific report sections in
3 the Energy Policy Act of 2005 is that there is a
4 widely held concern that disused sealed sources can
5 become a proliferation risk and could potentially fall
6 into the hands of malevolent forces and be used to
7 make dirty bombs. This is one of the reasons why the
8 same statute, the Energy Policy Act, established an
9 interagency task force, of which the Department of
10 Energy was a member, to produce a report to the White
11 House on the safety and security of disused
12 radioactive sources.

13 Again, just to remind you, that where
14 sealed sources do exist today -- and they do -- and
15 they become disused, they do not have a disposal
16 outlet if they qualify, if they have sufficient
17 concentrations of radioactivity, that they must be
18 managed as greater-than-class C waste.

19 The third waste stream within the
20 commercial greater-than-class C low-level waste
21 inventory is an "other" category. It basically is
22 anything that is greater-than-class C low-level waste
23 that is not an activated metal, is not a sealed
24 source. It consists of contaminated equipment,
25 debris, trash, the debris generated through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 decommissioning of radioactive facilities, nuclear
2 facilities that are used for research. There are only
3 a few commercial licensees that have generated or are
4 projected to generate this category of greater-than-
5 class C waste, this "other" type of GTCC. Most
6 commercial greater-than-class C waste is either
7 activated metals or sealed sources.

8 That brings us to the DOE greater-than-
9 class C-like waste. And we acknowledge that this
10 terminology can be confusing. The use of this term
11 does not have the intent or effect of creating a new
12 waste classification for radioactive waste generated
13 by Department of Energy activities. DOE greater-than-
14 class C-like waste is DOE low-level waste or
15 transuranic waste that have characteristics similar to
16 greater-than-class C low-level waste under the NRC
17 classifications, and which may not have an identified
18 disposal pathway today. It is owned by DOE. It is
19 generated by DOE activities, even if those activities
20 are conducted at a commercial facility.

21 The waste forms comprising this inventory
22 are similar to the commercial greater-than-class C
23 low-level waste forms -- activated metals, sealed
24 sources, and other waste. The big difference here is
25 that the vast majority of this DOE inventory falls

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 into that "other" category. Most of it is transuranic
2 waste that may not qualify for disposal at the Waste
3 Isolation Pilot Plant because it was not derived from
4 defense-related production activities.

5 Here's just a high-level summary of the
6 waste inventories and a comparison of the commercial
7 and the DOE contributors to the inventory. I want to
8 again remind you, the total estimated stored and
9 projected of greater-than-class C, both commercial and
10 DOE, totals only 5600 cubic meters. But again, not to
11 belittle that, that small volume could contain up to a
12 140 million curies of radioactivity.

13 DOE greater-than-class C-like waste makes
14 up a little bit more than half of that total projected
15 inventory. But the commercial contributors, the 2600
16 cubic meters that would come from the commercial, NRC
17 and agreement state licensees, contains the majority
18 of the activity.

19 We developed these estimates based on data
20 calls and interviews and other sources of information,
21 such as available databases and reports.

22 And I see there's a question back there,
23 but we're going to do presentation and then questions.
24 If you'll give us that patience, I appreciate it.

25 Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We have a very detailed inventory report
2 that is available on the website page that talks about
3 the methodology for estimating both the commercial
4 waste stream and the DOE greater-than-class C-like
5 waste stream.

6 This is the proposed action of this
7 environmental impact statement, to construct and
8 operate a new facility or facilities, or use an
9 existing facility, for the disposal of greater-than-
10 class C low-level waste and the DOE greater-than-
11 class C-like waste.

12 Again, this proposed action stems from a
13 legislative requirement that DOE develop a disposal
14 capability for the commercial low-level waste stream.
15 We decided that we would also include DOE's waste
16 streams that are very similar to that commercial waste
17 because we have a responsibility for both the
18 commercial and the DOE-generated waste streams,
19 neither of which have a disposal path today. And we
20 consider this to be a cost-effective solution because
21 there is such a low volume of waste collectively
22 between the two.

23 These are the proposed disposal
24 alternatives. We are extremely interested in what you
25 have to say about these alternatives and whether there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 may be other alternatives that should be considered.
2 The alternatives range from no action for current and
3 future greater-than-class C low-level waste. Both the
4 commercial and DOE-generated would be stored at
5 designated locations consistent with ongoing practice.

6 Disposal in a geologic repository at the
7 Waste Isolation Pilot Plant, which, again, is located
8 in Carlsbad, New Mexico. Both the current and future
9 GTCC low-level waste and DOE GTCC low-level waste
10 would be disposed of at WIPP.

11 The third analyzes disposal in the
12 geologic repository proposed at Yucca Mountain in
13 Nevada.

14 Then the fourth and fifth alternative talk
15 to the alternative disposal configurations, the use of
16 a new enhanced near-surface disposal facility at one
17 of the proposed locations, of which the Hanford site
18 is among them, or disposal in a new intermediate-depth
19 borehole facility. And again, we'll talk about each
20 of these in a little bit more detail.

21 We do recognize that some of these
22 alternatives could require changes to existing
23 legislation or regulation. However, this alone is not
24 a reason for eliminating an alternative from
25 consideration within this EIS. Our NEPA guidance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requires that we evaluate a range of reasonable
2 alternatives, notwithstanding those statutory and
3 regulatory requirements or constraints that may exist
4 today. But in the EIS analysis, we will carefully
5 identify any statutory or regulatory limitations that
6 do apply, and any changes that would be required for
7 implementation.

8 As I previously mentioned, and will
9 probably say at least two more times, DOE must await
10 Congress' action before implementing whatever the
11 preferred alternative or alternatives are that result
12 from this EIS.

13 These are the three disposal methods we
14 today propose to include in this EIS -- deep geologic
15 repository, which, again, is the disposal methodology
16 that Congress and the NRC assume would be required for
17 commercial greater-than-class C low-level waste, and
18 then two alternatives, intermediate-depth borehole and
19 enhanced near-surface. If you have other approaches
20 or ideas you'd like us to consider, tonight is your
21 opportunity to tell us them. You will have other
22 opportunities throughout the scoping process, the
23 scoping period, which ends on September 21st.

24 Deep geologic disposal or geologic
25 repository involves the placement of waste in mine

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cavities deep beneath the earth's surface. It is the
2 configuration employed at the Waste Isolation Pilot
3 Plant in Carlsbad, New Mexico. This is a picture of
4 contact handle transuranic waste, which was originated
5 from defense activities that has been disposed in one
6 of the panels or one of the rooms at WIPP. It's also
7 the methodology proposed at Yucca Mountain. Although
8 it's a different approach to geologic disposal, it is
9 a deep geologic repository that is planned at Yucca
10 Mountain.

11 Enhanced near-surface involves the
12 placement of waste in engineered trenches or vaults or
13 other similar structures within the upper 30 meters of
14 the earth's crust. I'd like to mention again that the
15 NRC regulations state that there may be some instances
16 where greater-than-class C low-level waste would be
17 acceptable for near-surface disposal with special
18 processing or design. That is why this disposal
19 methodology is proposed for inclusion in this EIS.

20 The photo here shows a concrete vault that
21 is used for disposal of higher activity DOE low-level
22 waste. This exists at a DOE site.

23 I should mention that the photo here and
24 the conceptual drawings on the poster boards in the
25 back of the room are intended to give you a general

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 idea of what this disposal methodology may entail.
2 The specific design will be developed through the EIS,
3 however, and there will be opportunity in the future
4 to comment on those specific designs. These are
5 really conceptual ideas at this point. We are very
6 interested in any comments you might have in just
7 these preliminary ideas. So please let us know if you
8 have any enhancements that you would propose.

9 And then the third methodology is
10 intermediate-depth borehole disposal. This is the
11 placement of waste in an augured borehole deeper than
12 the top 30 meters of the earth's crust. It would
13 likely include additional barriers, such as drilling
14 deflectors, enhanced engineered walls, backfill once
15 the waste is emplaced.

16 This methodology has successfully been
17 demonstrated in the U.S. and other countries. It is
18 the disposal methodology that the international
19 community is proposing to use for intermediate-level
20 waste. In international waste classification systems,
21 intermediate level waste would be comparable to what
22 we in the U.S. call greater-than-class C low-level
23 waste.

24 This photo here shows the installation of
25 a borehole at a DOE site. Again, the poster board

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shows a conceptual drawing of what our design might
2 be, but the specific design will be developed through
3 the course of developing the environmental impact
4 statement. Again, any comments you might have on this
5 disposal methodology, please certainly provide them to
6 us.

7 And these are the proposed disposal
8 locations. To tick off the top few, WIPP as a
9 geologic repository that exists today and is in
10 operation, and the proposed Yucca Mountain repository,
11 again, those are obvious candidate sites because they
12 are geologic repositories, which is the methodology
13 that the NRC assumes is required for greater-than-
14 class C low-level waste.

15 All of these other sites were identified
16 through a difficult process, but it is the initial
17 reasonable range of alternatives. These sites were
18 selected based on mission compatibility, because these
19 sites have current ongoing waste disposal operations
20 as part of their ongoing mission, and the physical
21 characteristics of the site imply that it's
22 appropriate for low-level waste disposal to -- low-
23 level waste disposal can safely be performed there.

24 The WIPP vicinity would be either land
25 within the land withdrawal that houses the Waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Isolation Pilot Plant today and is already under the
2 jurisdiction of the Department of Energy, or it could
3 be on government property within that general locale.
4 And then to provide for the possible programmatic
5 determination for us of a commercial facility, the
6 Department intends to analyze a generic commercial
7 facility in a human environment, and a generic
8 commercial facility in an arid environment. The
9 reason being, again, that greater-than-class C low-
10 level waste is a commercially generated waste stream.

11 Commercial industry is providing the
12 solution for the other classes of commercial low-level
13 waste, and may very much be interested in providing
14 the solution for this class of commercial low-level
15 waste. However, when we asked industry if they were
16 interested back in 2005, soon after publication of the
17 Advance Notice of Intent, while a number of companies
18 did come forward and express some interest, none had a
19 specific facility with sufficient design or license
20 developments such that it could be considered. That's
21 why we're using generic possibilities. It is highly
22 likely that future NEPA analysis would be required for
23 implementation of those commercial alternatives.

24 DOE -- this is a very important point, and
25 I apologize that -- it -- it's clear to me after the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first four scoping meetings that the intent of this
2 slide is not coming through. So I'm going to just
3 talk about it a little bit. We intend to evaluate
4 each of the GTCC waste types, those subcategories that
5 comprise the commercial streams -- activated metals,
6 sealed sources, and the "other" -- both individually
7 and in combination with each of the disposal
8 alternatives, taking into consideration the rate at
9 which those waste streams will be generated and the
10 specific characteristics and volumes of each of those
11 subtypes of waste. It is possible that the preferred
12 alternative will involve a combination of facilities
13 or designs for subsets -- various subsets of the waste
14 streams.

15 Again, the EIS will analyze the statutory
16 and regulatory requirements required for
17 implementation of each alternative, and whether any
18 modifications would be required to facilitate
19 implementation.

20 This is a summary of the greater-than-
21 class C EIS process -- the Advance Notice of Intent of
22 2005, the Notice of Intent of July of 2007. Actually,
23 somebody asked me tonight what happened in those two
24 years. What we spent the last two years doing was
25 refining the waste inventory estimates. While there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was an initial inventory report back in 1987, a lot
2 has changed in the commercial low-level waste world
3 over the last 20 years. We found that with the
4 extension in nuclear reactor licenses that the rate of
5 generation for much of this greater-than-class C low-
6 level waste has been delayed. So for that reason, we
7 had to work closely with industry to refine those
8 inventory estimates. We also worked through the
9 policy considerations of deciding to include the DOE-
10 generated waste forms, as well.

11 Publication of the Notice of Intent
12 started the public scoping period. That's where we
13 are today. This is the fifth of our public scoping
14 meetings. Following the public scoping period, we
15 will proceed with development of the environmental
16 impact statement based in large part and informed by
17 the comments received through the scoping process.
18 That draft EIS will be published for public comments.
19 We'll consider those comments as we move forward and
20 develop the final EIS. Following publication of that
21 final EIS, we will provide that required report to
22 Congress -- again, required by the Energy Policy Act
23 of 2005 -- and we will await Congress' action before
24 implementing a record of decision.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The July 2006 report to Congress, again,
2 that originally estimated the cost and schedule for
3 this EIS is available on our web page. It did assume
4 that we initiated the EIS process last year. We of
5 course took more time to refine those inventory
6 estimates. So we will revise that estimate of the
7 schedule after the public scoping period, so that way
8 we have a better sense of exactly how many alternative
9 sites and exactly how many designs are going to move
10 forward for inclusion in the EIS.

11 So, finally, a few final words about
12 public participation. The NEPA process provides
13 opportunities for public participation. It provides
14 multiple opportunities, because that public input is
15 critical to, again, the development of a document that
16 is viable and can support an ultimate solution. You
17 can participate tonight by providing oral comments or
18 written comments on the scope of the EIS, including
19 the proposed alternatives and the environmental issues
20 you have, any concerns you have about the waste
21 streams. You can also provide written comments after
22 this meeting via fax, via the EIS website, or by mail.
23 The public scoping process closes on September 21st.

24 You can stay informed throughout this
25 process by visiting the GTCC EIS website at this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 address. We have put a lot of work into that web
2 page. It has a lot of historical information, a lot
3 of ancillary information. It will be our primary
4 mechanism for putting any new information out
5 throughout this process. There is a written comment
6 form in the folders in your handout material tonight.
7 If you'd like to provide a written comment tonight,
8 Holmes will go over the details on exactly how to do
9 that after this recess.

10 This is our contact information for the
11 federal employees who are part of our team. Again,
12 I'm Christine. Jamie Joyce in the back of the room by
13 the exit sign is the document manager. He is also the
14 team lead for the Greater-Than-Class C Team back at
15 Headquarters, and he's brought with him his team, Joel
16 Kristal back there at the door, and George Dixon's
17 over here, one of our precious chairs. We are
18 supported by members of the Argonne National
19 Laboratory and Sandia National Laboratories. I see
20 Mary and Bruce are in the back, and John Cochran also
21 in the back. We also have the pleasure to be joined
22 by Jeanie Loving from our NEPA Office at Headquarters.
23 Thank you, Jeanie, for coming out for this. She has a
24 lot of experience with these sorts of documents, and
25 we do rely upon her expertise. So please find any of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 us during this recess if you have any questions.
2 Again, Jamie will be your primary contact, but you can
3 contact any of us. We very seriously are providing
4 that information, so if you have a question, you can
5 give us a call.

6 Thank you.

7 MR. BROWN: We're going to take a brief
8 recess at this point to follow up any questions on the
9 presentation or on the posters. When we reconvene, we
10 will be ready to take your formal comments. So this
11 will be quite brief, but you can ask any of the folks
12 here in the back.

13 (Recess from 7:16 p.m., until 7:35 p.m.)

14 MR. BROWN: Let me review just a few
15 ground rules for formal comments. Please step up to
16 that microphone when your name is called. Introduce
17 yourself, providing an organizational affiliation
18 where appropriate. If you have a written version of
19 your statement, please provide a copy to the court
20 reporter when you've completed your statement. Also,
21 please give the court reporter any attachments that
22 you would like to be made part of the formal record.
23 They will be labelled and entered.

24 Again, I explained that we have a number
25 of people here. But I think that given the turnout

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and the interest, that I would like to say that folks
2 will have five minutes to speak. Again, if you don't
3 take the full five minutes, I'm sure those who follow
4 will appreciate it.

5 I was told last time that when we were on
6 kind of a short supply that when I told people they
7 had a minute left, that that was somewhat aggravating.
8 So I have here a number four. So if you all will --
9 when you get to the four-minute mark, I'll just hold
10 this up, letting you know that you've got a minute
11 left to gracefully conclude your remarks.

12 Again, let me remind you that your
13 comments, whether spoken, written, e-mailed, or
14 whatever, all count the same. The folks who are going
15 to be writing the draft environmental impact statement
16 are not going to weight a spoken comment any more than
17 one that's submitted at a later date in another form.
18 So I'm hoping the five minutes will give you adequate
19 time. And again, I apologize for being so short the
20 last time we were here. There was a bridge closing at
21 10 o'clock at night that rather curtailed our time.

22 So that's by way of ground rules. Ms.
23 Gelles will be serving as a hearing officer for the
24 Department of Energy during the formal comment period.
25 So let me begin by calling on Mary Gautreau from --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 yes, the court reporter has begun and will be taking
2 all this down. So, Mary Gautreau from Senator Wyden's
3 office will start things off. She will be followed by
4 Ken Niles from the State of Oregon.

5 (Pause.)

6 There are some chairs available here in
7 front. So if people get tired of standing up, please
8 come forward.

9 MS. GAUTREAU: Thank you. My name's Mary
10 Gautreau. I'm from Senator Ron Wyden's office.
11 Christine, I want to welcome you to Portland. Thank
12 you for yours. The senator, of course, could not be
13 here, but asked that I would read a statement, and
14 will give you this one.

15 The Hanford Nuclear Reservation is already
16 one of the most polluted places on the planet. It
17 currently stores more high-level nuclear waste than
18 any other site in the United States, and it is not
19 safely managing all of the nuclear waste that it
20 already has on-site today. And now the Department of
21 Energy proposes to use Hanford as a national nuclear
22 waste dump.

23 The bottom line is the Energy Department
24 should not be adding more waste to Hanford when it
25 isn't safely handling the waste that it already has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on-site. The Energy Department -- (applause) -- and
2 its contractor have a long history of mismanagement
3 and failures to protect public health and safety at
4 Hanford over the past 20 years. A report by the
5 contractor responsible for the Hanford Tank Farms,
6 which stores 53 million gallons of highly radioactive
7 and toxic waste, indicates that removal of all of
8 these wastes just from the aging and leaking single-
9 shell tanks would not be completed until the year
10 2032. Hanford is decades away from dealing with the
11 waste that it already has on-site.

12 Just last month, Hanford had a spill of
13 high-level nuclear waste while retrieving it from the
14 single-shell tanks that endangered workers at the
15 site. I have requested that the Defense Nuclear
16 Facility Safety Board, an independent DOE safety
17 oversight agency, investigate this spill, as well as
18 the entire single-shell retrieval program. Given the
19 long history of mismanagement of waste cleanup at
20 Hanford, the Energy Department's proposal to bring
21 more waste to Hanford is essentially a proposal to
22 turn Hanford and the Northwest into a national
23 sacrifice zone.

24 The waste under discussion today is the
25 most radioactive in the low-level category. As many

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of you know, I have long been concerned about DOE's
2 history of unkept promises to clean up Hanford. It's
3 time to address the current problems, and not add
4 additional risk and dangers by adding huge volumes of
5 additional nuclear waste to Hanford.

6 What is amazing to me is DOE has now been
7 trying to clean up the nuclear waste environmental
8 contamination half as long as the site was actually in
9 operation, more than 20 years, with no end in sight.
10 Instead, we're miles away from meeting those cleanup
11 goals.

12 In March of this year, U.S. EPA issued a
13 fine of more than a million dollars for the failure of
14 DOE's contractor to properly manage the existing low-
15 level waste disposal facility. How can this
16 Department be seriously considering sending more of
17 the same waste to Hanford?

18 In March of 2006, I requested the
19 Inspector General conduct an investigation into the
20 safety of the waste vitrification plant after a former
21 employee of Bechtel raised concerns about the former
22 employee's use of unproven and flawed control systems.
23 In response to my request, the Inspector General
24 issued a report that said -- and I quote, "The control
25 system does not meet the stringent procedures, plans,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 specifications for work practices associated with
2 nuclear quality standards."

3 My point here is a simple one: DOE has
4 not fulfilled the obligation to clean up Hanford. It
5 is not clear when it will. But now DOE is proposing
6 to bring more waste to Hanford. Hanford should have
7 less nuclear waste, not more, and it should be cleaned
8 up, not dumped upon.

9 So today I'm putting myself on record as
10 being fiercely opposed to DOE's plans to dump more
11 waste at Hanford. I will do everything within my
12 power to keep it from happening.

13 Thank you. Senator Ron Wyden.

14 (Applause.)

15 MR. BROWN: Okay. Ken Niles is next, and
16 Natalie Trayer will follow.

17 MR. NILES: Good evening. I'm Ken Niles.
18 I'm the Assistant Director for the Oregon Department
19 of Energy. I'm providing comments on behalf of the
20 State of Oregon.

21 I want to first of all thank the U.S.
22 Department of Energy for conducting a scoping meeting
23 in Western Oregon. Oregon and Oregonians have a long-
24 standing interest in Hanford. We appreciate this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 opportunity to provide our comments directly to you.

2 And thank all of you for coming out one more time.

3 My agency will provide what I expect will
4 be fairly lengthy written comments to the Department
5 prior to your deadline that will outline the analysis
6 that we expect to see in the environmental impact
7 statement.

8 Since Hanford cleanup began in 1989, the
9 federal government has so far spent more than \$25
10 billion taxpayer dollars to try and clean up the
11 extensive entry that occurred at Hanford during more
12 than 40 years of plutonium production. There is not
13 sufficient time for me to thoroughly explain the many
14 cleanup challenges that still remain at Hanford now 18
15 years into cleanup. The recent spill of high-level
16 waste at the S-Tank Farm is just the latest example of
17 many examples over the years that demonstrate that DOE
18 still is unable to manage the waste that they
19 currently have at the Hanford site.

20 The State of Oregon opposes the idea of
21 bringing greater-than-class C waste to Hanford for
22 disposal. Hanford's groundwater and soil are already
23 widely contaminated, and a great deal of money and
24 effort is being expended to try and clean up these
25 contaminants. Adding more waste to the subsurface,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 especially waste that is highly radioactive and very
2 long-lived, is contradictory to the cleanup effort
3 that has come at such a premium price and that we all
4 support.

5 I acknowledge that our position is seen by
6 some as just another NIMBY. But there's a difference
7 between saying "not in my back yard" and what we're
8 saying, which is "no more in my back yard" --
9 (applause) -- especially given that our back yard is
10 so horribly polluted already and poses a very real
11 long-term threat to the Columbia River.

12 In preliminary comments we submitted two
13 years ago, the Oregon Department of Energy commended
14 DOE for beginning the process of determining a
15 disposal path for greater-than-class C waste. Some of
16 this waste does exist. More will be generated. There
17 does need to be a disposal path identified.

18 However, we also strongly encouraged DOE
19 to not consider near-surface disposal and to exclude
20 from consideration any site still undergoing active
21 cleanup. Both of these recommendations were ignored.
22 The assumption, as Christine has mentioned, for many
23 years has been that greater-than-class C waste would
24 be disposed of in geologic disposal. We see no reason
25 to change that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Thank you.

2 (Applause.)

3 MR. BROWN: Okay. Natalie is next. Is
4 she here? She will be followed by Harvey Thorstead.

5 MS. TRAYER: Hello. My name is Natalie
6 Trayer, and I'm the Field Organizer for Heart of
7 America Northwest. My first question is this: There
8 were hundreds of folks who came out to the solid waste
9 EIS meetings who weren't notified about this meeting.
10 Everyone who has commented and was at those meetings
11 should've received notice of this one.

12 Secondly, it's apparent to me that the
13 U.S. Department of Energy doesn't believe the old
14 adage that less is more. As if we didn't have enough
15 nuclear waste to take care of already, DOE, which runs
16 the Hanford Nuclear Reservation and the nation's
17 nuclear weapons complex, wants to check a different
18 kind of extremely radioactive waste at Hanford for
19 burial. They refer to this waste as greater-than-
20 class C, as you've heard, and are proposing to dump
21 this toxic waste in shallow landfills and relatively
22 shallow boreholes above groundwater that's flowing
23 directly next to the Columbia River.

24 There are a myriad of reasons why bringing
25 more radioactive waste to Hanford is a bad idea. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first and foremost, we obviously can't take care of
2 what we already have. DOE is incapable of safely
3 managing the waste that currently exists at the site.
4 In case you didn't hear, and has been mentioned in
5 comments before me, nearly 50 to 100 gallons of toxic
6 waste erupted from a water line on July 27th. The
7 cause of this leak is attributed mainly to an
8 engineering blunder and lack of oversight.

9 On top of that, over one million gallons
10 of radioactive waste has already leaked from tanks at
11 Hanford, and that contamination, this will be
12 spreading toward the Columbia River.

13 A vast amount of money and effort is being
14 exhausted to try and clean up this site. To put it
15 simply, adding more waste is incongruous with cleanup.
16 For the safety of our communities, our families and
17 future generations, we ask you to join us in saying no
18 to this preposterous proposal to the import of more
19 waste at Hanford.

20 Thank you.

21 (Applause.)

22 MR. BROWN: Harvey Thorstead, are you
23 here?

24 (No response.)

25 MR. BROWN: Okay. I'll get back to him.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Pause for next speaker to set up.)

2 MR. DE BRULER: My name's Greg de Bruler,
3 and I'm representing Columbia River Keeper. I've been
4 doing this for -- well, for them for 18 years, and
5 working on behalf of the river for a little over 20
6 years now.

7 Hey, Hanford, the river, hey, our favorite
8 place here. Everybody remembers Hanford. If you
9 don't remember Hanford, it's all about the river. The
10 river flows this way. It comes all the way around,
11 goes down there, goes out to the sea. Remember in
12 1962 it was the most radioactive river in the free
13 world. This is where they're proposing to dump this
14 stuff. Travel time from here is seven years. Well,
15 depending on who you talk to, it could be here from 10
16 years to 100 years. Travel time this way, if the
17 waste goes this way, it's 15 miles, it could be, eh,
18 not this stuff, but 20 years to 500 years, depending
19 on who you talk to.

20 Bottom line, what you put in the ground
21 makes a big difference. Columbia River -- there's the
22 N-reactor. Just think of all the waste sites. Nine
23 nuclear reactors, waste everywhere, most contaminated
24 site in North America. Look what happens when you
25 dump the stuff in the ground. This is what they've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dumped in the ground to date. Check those things out.
2 You know, some of you might know what it is, some of
3 you might not know what it is. Bottom line, it's
4 hazardous, toxic waste that's eventually going to hit
5 the aquifer, that's eventually going to flow into the
6 Columbia River -- not here in my lifetime, but what
7 about the future?

8 They say this is safe disposal. They use
9 the word "safe." That's not what we're here for. And
10 the whole idea, this whole preposterous idea, is that
11 it's disposal. What happened to the first part, which
12 is remove, treat, and then dispose? "Treat" left.
13 That went away. The "treat" is they're going to dump
14 it in your back yard, and the "treat" is they're going
15 to continue dumping it in your back yard. So they not
16 only create more waste here that's going to migrate,
17 but it's going to flow into the Columbia River
18 sometime, not in our future, but in somebody else's
19 future. That is -- it's just absolutely ludicrous. I
20 told Gerry this is like being standing here in 1980-
21 something that somebody proposed this.

22 They say deep geologic storage, that's
23 what they've always planned for this. Now the reason
24 why they don't want to do that is because that the
25 science at Yucca Mountain was so bad, they realized

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that didn't work. And now they want to do surface
2 storage. Why? Because they don't have to drill big
3 holes.

4 So this is really a disposal EIS. It's
5 not a remove, treat and dispose, like you're required
6 under the law by the EIS. That's what you're going to
7 have, and you're going to have more of that all over
8 the Hanford site. They're supposed to release it as
9 being clean. Supposedly they're supposed to release
10 it and give it back to the Native Americans and back
11 to the public to use. It's never going to happen.
12 Twenty years the Department of Energy -- 18 years --
13 has been cleaning up the mess. We have a delay in the
14 vit. plant until 2019. Does anybody in this room in
15 their right mind trust the Department of Energy's ever
16 going to start the vit. plant?

17 MULTIPLE SIMULTANEOUS SPEAKERS FROM THE
18 AUDIENCE: No.

19 MR. DE BRULER: So if you don't believe
20 that the vit. plant's going to be started in 2019, we
21 have 18 years of them telling us what they're going to
22 do, but they haven't gotten to what they were supposed
23 to be doing. And now they're coming here and they
24 want to do surface disposal? Whoa. Wait. No. Stop.
25 That's why we're at a truck stop, actually, so all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 truckers could come in here and talk about hauling
2 hazardous materials and what it does to them and their
3 lives.

4 According to the nation -- or the BEIR-7
5 panel, National Academy of Science, they went out and
6 did an analysis of all the health stuff in the world.
7 They wanted to find out, okay, everybody says low
8 doses, no big deal. High doses, low doses, what is
9 all this stuff? Bottom line, they went around the
10 world, checked up all the studies, and they came up
11 with one answer. There is no safe level of radiation,
12 period.

13 Now, none of the EISs that have ever done
14 and that will ever be done by the Department of Energy
15 will accept that fact. They'll tell you in even their
16 current baseline risk assessment for the Hanford
17 breach that there is an acceptable dose. There is no
18 acceptable dose. And they only look at cancer. They
19 don't look at the diseases that are caused that don't
20 have anything to do with cancer.

21 So we have a trust responsibility, the
22 federal government does. The federal government has a
23 trust responsibility that says they must protect the
24 most maximally exposed individuals. This EIS better
25 do that, because I'll tell you what, the other EISs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't. They somewhat kind of get to it, but they
2 don't.

3 Native Americans have a God-given right
4 here, like we all do, but they've got a little special
5 provision that says if they don't do it right and
6 clean up Hanford, they're going to come back and file
7 suits against you, and they will -- we, the taxpayers,
8 will be paying for billions and billions of dollars of
9 lost resources in damage. A hundred and eighty square
10 miles of groundwater at Hanford has to be cleaned up.
11 Take 90 -- not near in my lifetime.

12 The EPA has nine criteria. The nine
13 criteria basically state, remove, treat and dispose.
14 And when you finally get down to the bottom part is if
15 you can't do with remove and treat, then you might
16 find some waiver to do something different. Well,
17 their idea right now is to, if you listen to 'em
18 closely, is to short-track the process. This is a
19 focused move, a disposal EIS, that wants you to take a
20 journey down the road to where we don't have to put it
21 deep in the ground, but what we're going to do is
22 we're going to put it on the surface -- mhh -- ten
23 feet under the ground.

24 What does it really mean? Hanford has
25 what they call post- -- or pre-70 TRU waste,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 transuranic waste. It's so hot that you wouldn't want
2 to pick it up. You wouldn't want to handle it. The
3 Department of Energy has been lucky in Savannah River
4 and Oak Ridge where they've been able to leave this
5 stuff in the ground. Anybody been to Savannah River
6 or Oak Ridge? They have coffins that they put above
7 ground, because when the groundwater gets too wet, it
8 flows up and it moves the coffins out of the ground.
9 Oh, well, wait a second here. We've got Oak Ridge and
10 Savannah River as a proposed site. And they want to
11 do near-surface disposal? Am I missing something
12 here? Because I know that the process that they're
13 steering us on is their disposal.

14 We have to change the process. We have to
15 say to them, no, you can't do this. And by the way,
16 you aren't going to stop 'em, because they're going to
17 do the EIS. This is the minimum assessment modules
18 determined by the CRCIA Team, Columbia River
19 Comprehensive Impact Assessment Team, which I was the
20 chair at the last time when we finally closed out.
21 The Department of Energy came back and said, when we
22 do an assessment of impact, we will use these, all of
23 these things, in every one of our analyses for every
24 EIS ever done. That commit was done in 1997 and 1998.
25 It's 2007, folks, and they haven't done it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I'm telling these people that you need
2 to read CRCIA, the requirements documents. It's 120
3 pages long. Read through it, and if you cross all
4 your T's and dot all your I's, then I might be happy
5 somewhat with your EIS. I don't think you'll do it.

6 Look at this. Disposal sites -- a big
7 river, a big river, lots of rain, lots of rain, lots
8 of rain. Stuff floats to the surface. They have a
9 wayside at Oak Ridge -- anyway, I've got a whole bunch
10 of reports. You can read that stuff if you want. I
11 analyzed all those sites.

12 Idaho, that's a good one. Let's dump it
13 over in Idaho so it flows back into the Columbia River
14 anyways. Oh, but let's dump it at Hanford, because
15 it's going to hit the river anyways. Okay, Yucca
16 Mountain, they're kind of dry, so maybe we can put it
17 over there.

18 But the big thing is this: That's what
19 they're going to do. They're going to put this stuff
20 on the road. Somebody told me there were terrorists
21 in the United States. That's what somebody told me.
22 Somebody told me that terrorists could attack and
23 create dirty bombs. This is the perfect dirty bomb.
24 It's a perfect dirty bomb. And they want to ship this
25 stuff all over the United States. Why don't they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 treat it? Why don't they do separation? Why don't
2 they figure out compaction? What about the new
3 technologies that basically can stabilize some of this
4 stuff so it's not radioactive? There are technologies
5 out there. But believe you me, this EIS won't
6 consider those.

7 This is what it's about: Protect the
8 Columbia River. Protect the future. Stop U.S. DOE
9 dead in their tracks. We have to stop the process.

10 And my suggestion tonight is this: It's
11 time for the people of the United States and the
12 Northwest to seriously consider a new process. The
13 Department of Energy in the last 18 years has
14 consistently shown us time and time and time and time
15 again that it has failed to manage the cleanup of the
16 Hanford site, beyond recognition. There is so much
17 documentation that anybody in Congress who would be
18 listening to this should say, Oh, my God, we've spent
19 \$25 billion, and we've gotten nowhere. There's nobody
20 in their right mind that would put up with it anymore.

21 It's time to create a cleanup commission
22 and move forward with a change for Hanford and the
23 site. And I want the analysis not only done for
24 Hanford as far as the CRCIA requirements. I want it
25 done for every site in the nation, because as far as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm concerned, this isn't a battle just about Hanford.
2 This is a battle for the protection of our water
3 resources in this whole country. And you can't do it
4 at Savannah River because you might have their hands
5 tied in Savannah River because it's a "yes" society
6 down there. And you might have 'em tied in Oak Ridge
7 because they're fully into this production mode. But
8 the bottom line, the people that aren't being paid are
9 getting contaminated and dying because of their
10 exposure at Hanford, at Rocky Flats, at Oak Ridge, at
11 Savannah River, and it's time that we change the
12 process.

13 So thank you for this opportunity to
14 speak, and I hope you enjoyed my slide show.

15 (Applause.)

16 MR. BROWN: Okay. Bill Mead. And Bob
17 Hedlund will follow Bill.

18 MR. MEAD: My name is Bill Mead, and I am
19 the Director of Public Safety and Resources Agency.

20 (Pause to adjust the microphone.)

21 MR. MEAD: My name is Bill Mead, and I'm
22 the Director of Public Safety and Resources Agency in
23 Portland, Oregon. I'm retired from federal law
24 enforcement, and my first nuclear training class was
25 in 1977.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I am against bringing new waste to
2 Hanford, regardless of their source or composition.
3 Hanford is already grossly contaminated, and must be
4 cleaned up before additional waste is imported.

5 In 1984, for each pound of plutonium-239
6 that was produced at Hanford, we paid \$276,000. We
7 also generated 4,138,000 gallons of high-level liquid
8 radioactive and chemical waste for each of the 2200
9 pounds of plutonium that we produced that year. That
10 added 9 billion gallons of high-level liquid waste
11 that we needed to safely contain for 225 generations.

12 In the late 1980s, the Department finally
13 admitted that it had released 195 billion gallons of
14 similar waste into Hanford soils during the previous
15 40 years of operations. That waste was just one of
16 several dozen waste streams at Hanford.

17 In 1987, I was called to testify before a
18 congressional subcommittee. Now, even though the
19 topic was about converting WPPSS-1 reactor to a
20 production reactor, the discussion rapidly expanded to
21 include waste issues at Hanford. During that hearing,
22 Hanford's manager bragged about the amount of waste
23 that had been reclaimed in 1986.

24 During my testimony, I reported that even
25 though the Department had worked on that project for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 an entire year, the total for that year was less than
2 had been produced during a single day of plutonium
3 production, and that we were creating that waste for
4 more than 42 years at that time. Again, this was only
5 for a single waste stream of the dozens at Hanford.

6 Now, according to the Department's own
7 published data, in 1984, Hanford produced a total of
8 1,376,000 curies of radiation. Of this, 1,000 curies
9 were of TRUs were buried on-site, and another 10,000
10 pounds were dumped there. I'm not sure why they
11 referred to that as "dumped." Again, this is only one
12 of the 40 years of Hanford's history. The current
13 proposal is for 140 million curies.

14 TRUs are extremely long-lived
15 radionuclides and must be isolated essentially for
16 eternity. Some of the wastes in the Department's
17 proposal would include additional TRUs.

18 In 1998, I toured the Department's Mound
19 site in Ohio, which had ended its weapons production
20 function and was being cleaned up. At that time, the
21 two managers I interviewed about their cleanup
22 experience were concerned that a total of 2.3 curies
23 of radiation that still existed in the grease pits of
24 their elevators might delay returning the site to the
25 city. Even so, before that tour, I had to view a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 video and pass a radiologic health test. And then I
2 had to participate in a follow-up survey several
3 months later. I've toured Hanford several times over
4 the past couple decades, and I've never been monitored
5 during that time.

6 A single particle of plutonium is only
7 4/10ths of one micron in diameter. As a comparison, a
8 normal backpacking filter filters down to one micron.
9 So in other words, you could get two of these things
10 side-by-side going through a filter.

11 Dr. John Gofman states that the inhalation
12 of that amount will inevitably cause cancer, and the
13 risk to smokers increased by a ratio of 20-to-1. We
14 just saw a picture up here of a plutonium particle in
15 the lung tissue. That was what that little star was.

16 Typical reactor grade plutonium-239 oxide
17 is eight to ten times more toxic than normal
18 plutonium-239. Plutonium is so lethal in its exposure
19 that in Japan the acceptable amount is 460,000 times
20 smaller than for uranium-238.

21 MR. BROWN: You're at five minutes now.

22 MR. MEAD: I'm on my last page.

23 The type of plutonium at Hanford is
24 sometimes referred to as "dry plutonium" because it
25 travels for longer distances than does normal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plutonium. We ended production there 20 years ago,
2 but it's still grossly contaminated. As an example,
3 nearly 40 years after Hanford's plutonium nuked
4 Nagasaki, the soil one kilometer away from where the
5 bomb exploded showed 5500 picocuries per square meter.
6 None of us would want to live in that type of
7 contamination. But at Hanford, the same time, the
8 soil readings one mile from Purex's discharge stack
9 showed 6600 picocuries. Hanford's soil was 20 percent
10 more contaminated at distances 1.6 times farther away
11 than Nagasaki.

12 Okay. To summarize, the Department's
13 history of not being honest with the public,
14 regardless of their statements, the Department will
15 have already focused on a preferred option. It will
16 run multiple projects simultaneously to achieve their
17 desired goals.

18 In 1987, it wanted to modify an abandoned
19 reactor, even though its own peer review committee
20 strongly recommended against that project due to
21 safety concerns. The Department's continued attempts
22 to restart the FFTF reactor are legendary, even though
23 the Department knew the reactor was not needed, was
24 not cost-effective, and would be hazardous.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The Department has been trying to
2 remediate some wastes that were created at Hanford in
3 the 1940s and 1950s. But it has never completed a
4 cleanup project on time or within the projected
5 budget. In fact, even after working on these issues
6 for decades, the Department still cannot manage the
7 wastes that already exist on-site.

8 The Department is responsible for the
9 actions of its contractors, and in this regard, it has
10 been criminally negligent. They recently had yet
11 another spill out there because the workers used the
12 wrong type of hose to drain a waste tank. The hose
13 failed, but the workers did not notice it for several
14 hours, and then delayed in making the required
15 notifications of the accident.

16 It is time for the Department to prove it
17 is competent and able to clean up what is already at
18 Hanford. I object to Hanford's inclusion as a
19 potential site for wastes that were not created at
20 Hanford, and I ask the Department to strike Hanford
21 from the list of candidates for this repository.

22 Thank you.

23 (Applause.)

24 MR. BROWN: Bob Hedlund is next.

25 Particularly if you have printed comments, if you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 summarize them and try to stay within the five-minute
2 limit. My number four doesn't seem to be quite as
3 compelling viewing as people's own comments. So
4 anyway, glance over here every now and then.

5 Okay. Bob Hedlund is -- is Harvey
6 Thorstead back?

7 UNIDENTIFIED MALE SPEAKER: No, he left.

8 MR. BROWN: Oh, he did. Okay. And then
9 Cherie Lambert-Holenstein will follow Bob. Bob,
10 please.

11 MR. HEDLUND: Yeah, my name is Bob
12 Hedlund.

13 To begin with, I don't think we ought to
14 put anything else up at Hanford until we go ahead and,
15 like Greg says, clean what we have up there already --
16 clean it up. But, you know, I've been involved in the
17 nuclear industry. I started down at Trojan in the
18 late '60s, early '70s, when we were excavating stuff.
19 I worked for Catalytic Hoffman, (unintelligible) and
20 Becker, you know, all the different companies --
21 worked with Bechtel and those people. You know, the
22 majority of workers are, you know, hardworking people,
23 just like everybody in this room. They deserve a fair
24 break.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But, you know, in 1980, when the mountain
2 blew up, I was down there. I was in the spent fuel
3 area. There was radioactive asbestos all over the
4 place. Also, we had a leak in the basement with
5 radioactive water and some other stuff. I worked in
6 some of the hottest spots of the plant. My pick went
7 off the scale four days in a row there and stuff.

8 When I left Trojan down there, I was sick.
9 I coughed up blood for years. My stomach bled. My
10 hair fell out. All my teeth fell out, and we had to
11 replace every cavity in there. You know, I've had two
12 cancer operations on my left leg. The bones hurt.
13 You know, a year ago or six months ago or something, I
14 quit breathing. I breathed so hard I sucked my whole
15 chest in. My sternum's stickin' out.

16 I don't know if that was from the Trojan
17 down there, the nuclear waste, or I don't know if it
18 was from the five superfund sites I dug through down
19 on Front Avenue that they knew about and didn't tell
20 us about. You know, we lost a couple of kids, four of
21 my friends that were on the job. You know, you bring
22 that crap home on your clothes, and it gets in the
23 atmosphere.

24 You know, it's shock and awe crap over in
25 Baghdad, hell, what did they do? They went in there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and bombed it. Right after that, they had a big
2 storm. You know what happened? Five and a half weeks
3 that depleted uranium came over and sat over the
4 United States. It rained down. Every time it rained,
5 it came down on us.

6 You know, we got more diabetes from the
7 Second World War tests. There's maps that show where
8 the wind went and stuff. You know, I told 'em -- I
9 filmed every meetings for the last eight years. I
10 told 'em eight years ago, you know, we needed to quit
11 producing this nuclear junk and start cleaning it up.
12 We're all going to be dead.

13 One in 50 Indian kids up around Hanford
14 are dying of leukemia. Out of the 28 families at the
15 perimeter of Hanford, all 28 of 'em had cancer. The
16 kids are born with no eyes, no brains, you know. Out
17 of 200 calves one year, they destroyed 80 of 'em
18 because they had extra legs or heads and that.

19 You know, in '57, I was working over there
20 in an area where they were dumping the stuff on us on
21 purpose just to test -- that was GE -- to see what
22 effects it had on the people. You know, I was working
23 behind a bailer when I was in grade school, you know,
24 breathing that junk all day long. It's a wonder I
25 made it this long. The only reason I did is because I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 went with alternative medicine. The regular doctor,
2 all they do is cover it up. You know, you get sick,
3 hell, I paid my own doctor bills. Hanford didn't pay
4 'em. Trojan didn't pay 'em. You know, the state
5 didn't pay any of my bills.

6 Well, anyway, you get the point. I want
7 the damn thing stopped. We don't need the 70,000 to
8 100,000 trucks running in the United States carrying
9 this stuff. We've got 38 canisters sitting down there
10 at Trojan we don't know what to do with. A friend of
11 mine decommissioned that down there. Where we ran
12 into the radiated water in the basement where I was
13 working up to my knees, they had to destroy four foot
14 of concrete. It went down through there, you know,
15 alpha, beta and gamma radiation. You don't want to
16 get the junk in your lungs, I'll tell you, you're
17 going to have a hard time breathing.

18 That's all I got to say.

19 (Applause.)

20 MR. BROWN: Randall Streets will follow
21 Cherie.

22 MS. LAMBERT-HOLENSTEIN: Good evening. My
23 name is Cherie Lambert-Holenstein, and I thank all of
24 you for coming, and in respect to you, I will be very
25 brief.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 On or about the presentation of slide
2 number 16, you read the word "defense." I do not see
3 that word on this slide. The history of Hanford is
4 toxic, and toxic has been the use of euphemisms. The
5 word "defense" should be replaced with "war, invasion,
6 occupation." It has little to do with defense. I
7 would suggest in the future you have better word
8 usage.

9 You use the public tonight by inviting
10 public questions, and you did not plan to record that.
11 That is manipulation of the public, purely and simply,
12 and I suggest that it was used so that you would
13 lessen public testimony.

14 The issue tonight is -- let's see --
15 what's the -- greater-than-class C level radioactive
16 waste. The acronym is GTCC LLW. Why is the word
17 "radioactive" left out of the acronym?

18 It's greater-than-class C level
19 radioactive waste, and in parentheses it's GTCC LLW.
20 And all throughout here it's GTCC LLW, where
21 "radioactive" is omitted. My message here is very
22 simple. That's eight words. Do not bring more waste
23 to Hanford. And thank you all for coming. Thank you
24 very much again.

25 (Applause.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BROWN: Okay. Randall Streets.

2 (No response.)

3 MR. BROWN: Dr. Joyce Young. And Keith
4 Harding will follow Dr. Young.

5 DR. YOUNG: My comments have to take a
6 little bit of a health -- not a disease perspective,
7 but a health perspective. I'm Dr. Joyce Young, a
8 naturopathic physician with a specialty in
9 environmental medicine, from Portland, Oregon. I'm in
10 private practice.

11 I came here ten years ago with virtually
12 no knowledge of Hanford and its health effects. I've
13 been totally appalled about the lack of health effects
14 information/epidemiology that has been done on the
15 present radioactive leaking waste. How much is really
16 going into the air? Nobody seems to really talk about
17 it that it's going into the ground, it's going into
18 the water. What's going into the air?

19 The down-winders, quote/unquote, of
20 Hanford are usually considered to be the folks east of
21 Hanford. The reality of the situation, according to
22 the National Weather Service in Portland, is that the
23 Columbia River Gorge drains all the air from eastern
24 Washington and eastern Oregon into the Willamette
25 River Valley, i.e., air moves like water, downstream.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This means that the people of Portland,
2 Oregon and Vancouver, Washington are the true down-
3 winders. We're talking millions of people in the
4 Willamette River Valley. There are no air
5 epidemiological studies on the present-day leakage on
6 down-winders and health of down-winders, especially in
7 conjunction with the 9500 pesticides registered for
8 use in Oregon, and the roughly ton of mercury --
9 that's 2,000 pounds -- from the eastern Oregon cement
10 plant, and the several hundred pounds of mercury --
11 airborne mercury from the coal-fired power plant, and
12 the save nerve gas -- quote/unquote, safe -- nerve gas
13 burning at the Umatilla (ph) Nerve Gas Depot.

14 All of this health surveillance
15 incompetence needs to be taken into account with the
16 grim reaper health statistics of the Oregon and
17 Washington Pacific Northwest -- what I call the
18 paradox. If the Pacific Northwest is such a great
19 place to live, then what are Oregon and Washington
20 compared to all the rest of the country, all the rest
21 of the U.S.?

22 One, Oregon is number two in autism.

23 Number two, Oregon is number two in breast
24 cancer, and Washington is number one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Three, Oregon and Washington are
2 considered to have the highest amount of multiple
3 sclerosis in the U.S.

4 Number four, Oregon and Washington have
5 just joined the stroke belt of the Southeast United
6 States. They're number six and nine in the country in
7 stroke mortality. That's stroke death.

8 Five, Oregon is 24 percent above the
9 national average in malignant melanoma skin cancer,
10 even though Oregon is known for its cloud cover. The
11 Oregonian says, to quote the front page of the paper,
12 "The dark side of the sun," Dr. Oleg Johanssen of the
13 Carolinska (ph) Institute of Sweden says in a 2006
14 paper entitled "Malignant Melanoma Skin Cancer - it's
15 not the sun!" It's chemicals and radiation, some kind
16 of a combination.

17 How much has this geologically unstable
18 northwest toxic stew at Hanford contributing to these
19 grim Pacific Northwest health statistics? It's
20 anybody's guess, because it's a mixture. All the
21 people of Oregon and Washington need to have some
22 answers before more high-level radioactive waste is
23 added to this toxic soup.

24 Thanks.

25 (Applause.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BROWN: Keith Harding, and then Gerry
2 Pollet.

3 MR. HARDING: Hi. I'm Keith Harding from
4 the upper Hood River Valley, oh, about 50 miles
5 upriver from here, and an hour or so downriver from
6 Hanford. I have two beautiful young adult kids who
7 are in the room here. They've been attending these
8 meetings for the last 18 years in Hood River and
9 Portland.

10 In this day and age, when we are
11 programmed daily by the mass media, working for who
12 knows who, to believe that there's a terrorist behind
13 every bush in the country -- (laughter) -- terrorism
14 and transportation of this waste material is one of my
15 concerns, and then stockpiling yet more of this stuff
16 in this gorgeous bioregion here.

17 I started into college very soon after
18 NEPA 1969 was instituted. Coming from an
19 instinctually ecological perspective from birth
20 really, in a Republic family even, New Hampshire, I
21 was very glad that NEPA came into existence. In
22 college, we had great hopes for it. Then working for
23 20 years in government, I saw the ups and downs of
24 NEPA. And my sense of it now is that it has been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extremely corrupted by the political mission that is
2 fed down to the agencies to work with it.

3 It seems to me the environment -- the
4 human environment that we live in is that agency
5 people very quickly get coopted by that political
6 mission and working towards retirement. The public
7 sees a very different final product through NEPA than
8 what goes on back in the agency offices and whatnot.
9 We get sanitized information, a lot of doublespeak and
10 whatnot. In my background of forestry, a clear-cut is
11 now called a regeneration cut. Well, it's a darn lie.
12 Or killing citizens is called collateral damage in a
13 war.

14 So it seems to me one big challenge that
15 we have in these agencies is for them to earn the
16 public trust. Many much more specific speakers before
17 me spoke specifically to Hanford and the whole nuclear
18 realm, to this issue of earning the public trust. The
19 track record with DOE and other agencies is not good.

20 I have talked with retired friends that
21 have worked in the industry, and they tell me that a
22 lot of things that are running up and down the roads
23 all the time really create a much more imminent threat
24 than these things that are intended to transport on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the road. The obvious thing is, why add to it, the
2 dangers on the road? Yeah, there's plenty.

3 Let's see. In the end, it will be
4 ecologists, not the bookkeepers of industry, who give
5 the final accounting of humanity on this planet. And
6 I do have a suggestion of a place to check out for
7 storing this material. It's on a ranch in Texas. I
8 heard -- (applause) -- I heard that the owner of that
9 ranch recently bought some 600,000 acres in Paraguay.
10 What the heck is that about?

11 I'll quit so that more can get up here.
12 Thanks a lot.

13 (Applause.)

14 MR. BROWN: Okay. Gerry Pollet, and it's
15 Angela Crowley, and I have a hyphenated name, and I
16 can't make out the last, but you know who you are, so
17 you'll be next. Gerry.

18 MR. POLLET: I'm Gerry Pollet with Heart
19 of America Northwest. Folks, thank you very much for
20 coming out here tonight. Together we can stop this
21 insane proposal. We've done it before; we'll do it
22 again. But it takes you coming out to do it, even
23 when the Energy Department doesn't want you to be
24 here, especially when the Energy Department doesn't
25 want you to be here. And they don't.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We're going to go through a few numbers
2 and a few letters in alphabet soup. First, let's stop
3 and say Einstein asked people to remember what the
4 definition of insanity is. Right? Insanity, for
5 those of you who don't know the quote from Einstein,
6 insanity is doing the same thing over and over again
7 and expecting a different result. So, what do you
8 call it if you dug a borehole above the groundwater
9 that flows into the Columbia River, and inserted
10 highly radioactive waste into the bottom of the
11 borehole? And if you don't expect the borehole to
12 leak and contaminate the river, then you're insane,
13 because we've done it before, and our problem is that
14 the Energy Department is fighting us tooth and nail
15 trying to evade cleaning it up.

16 We've dug boreholes at Hanford -- not
17 we -- the weapon-makers -- and said, trust us. And
18 we'd be insane if we did.

19 Two hundred people were mailed notice of
20 this hearing tonight by the Energy Department
21 nationwide for all their hearings. Took a little
22 teeth-pulling tonight to get to how large their
23 mailing list was. I think that is more than dismal.
24 It is shameful. Come on, I think we know that
25 thousands of people commented on the Hanford solid

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 waste disposal environmental impact statement. We had
2 hundreds of people attend those hearings in Portland.
3 Oh, in Portland. The Energy Department didn't want to
4 hold the hearing in Portland either tonight, did they?

5 Let's insist that they hold the hearing on
6 the draft EIS in Portland and one in Hood River.

7 (Applause.)

8 Please make sure the applause is noted in
9 the record.

10 MR. BROWN: It's also not deducted from
11 your time.

12 MR. POLLET: Thank you.

13 Three thousand people commented. Every
14 one of those people were commenting on a closely
15 related proposal to bury low-level and mixed waste at
16 Hanford, including some of the same -- very same
17 wastes that the Energy Department is attempting to
18 rename and put in here as greater-than-class C-like.
19 It's highly radioactive plutonium waste. They called
20 it then remote handled transuranic. That was a
21 mouthful. Didn't think that they would come up with a
22 worse name to try to dissuade the public from
23 commenting, but they did, calling it greater-than-
24 class C-like. But it's the same highly radioactive
25 plutonium wastes that they wanted to bring to Hanford.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Two court decisions said you can't without studying
2 the full impacts and the impacts of all the other
3 similar wastes that you want to bring to Hanford.

4 Instead what we have is a continued effort
5 to rename and piecemeal. "Ten" -- write down ten --
6 -- "up to ten potential latent cancer fatalities
7 during routine transport." That bureaucratise for the
8 number of people who will die during routine,
9 accident-free, terrorist-attack-free, trucking of the
10 wastes proposed in the last go-round to Hanford under
11 the solid waste EIS, including some of these wastes.

12 Now write down "50." Fifty is the number
13 of fatal cancers that those same wastes would actually
14 kill when you include children and use the National
15 Academy of Science's latest dose conversion numbers.
16 Yes, believe it or not, your federal government
17 decided in studying the risks of trucking highly
18 radioactive waste to Hanford to leave out our
19 children. Like I said, it's adult latent cancer
20 fatalities they measured. I guess they don't give a
21 damn.

22 You have to ask the individuals who are in
23 charge of the document, what were you thinking when
24 you made that decision, when you decided to write that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and leave out the study of children? And did you
2 think you could get away with it?

3 We insist that this document include the
4 risks to children for not only trucking the waste, but
5 for drinking the water and breathing the air in 10
6 years, 50 years, and 100 and 1,000 years, and include
7 the risks as the National Academy of Sciences, paid
8 for with your tax dollars, including from the Energy
9 Department, ironically, said in the biological effects
10 of ionizing radiation -- I'm saying this just for the
11 record -- report number seven issued in June 2005 --
12 use the latest National Academy data on what is the
13 effect of a dose on a child and an adult instead of
14 trying to use 20-year-old data to say that you have
15 fewer cancers. Because when we include children and
16 the new data, it's 50 people die of cancer from
17 routine transport of this waste to Hanford.

18 But what happens if at the intersection of
19 I-205 and 84, the Energy Department's truck with mixed
20 radioactive waste, including plutonium, had an
21 accident, a predictable accident with fire, or a
22 terrorist attacked it at that location? The Energy
23 Department didn't study this. So we hired independent
24 nuclear physicists to run the Nuclear Regulatory
25 Commission's own models studying what would happen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with a single truckload. So write down "340" -- 340
2 square miles of Portland would be contaminated,
3 requiring evacuation and unprecedented effort to try
4 to clean it up to make it liveable again -- 340 square
5 miles. It's never been done.

6 Write down "1,400." That's the number of
7 cancer fatalities from that predictable attack and
8 running their own computer model -- 1,400.

9 Now let's think about -- the Energy
10 Department said we've got 5,600 cubic meters of this
11 waste to send to Hanford possibly. Are we really
12 looking at anywhere else? Well, it's illegal to send
13 it to WIPP. And the State of New Mexico's not about
14 to roll over and make it legal. And Congress isn't
15 about to. And Yucca Mountain's never going to open.
16 So we're looking at all of a sudden near-surface
17 disposal, which is insanity. Tried it. Done that.
18 Been there. Done it. They buried greater-than-class
19 C-like waste in the soil at Hanford. It's
20 contaminating the groundwater today.

21 And look at the other sites. Idaho has a
22 legal agreement that the Energy Department is suing to
23 void, but it's sticking. And it says you have to
24 remove all similar wastes from the soil in Idaho.
25 They're not going to ship it there. We have to win a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 legal battle to get the same thing into the Hanford
2 cleanup agreement. And we have to uphold the mission
3 of 297 passed by Washington voters to try to keep any
4 of this waste that has chemicals in it out.

5 Five thousand six hundred cubic meters is
6 just the tip of the iceberg. In fact, as the State of
7 Nevada wrote several years ago, the Department of
8 Energy has 2.6 million cubic feet of similar wastes in
9 existence today which it is looking for a place to
10 send, calling it "special case waste," "denotes DOE
11 waste having characteristics similar to those of
12 greater-than-class C waste that generally lack firm
13 disposal plans."

14 So they're looking for a place, and
15 they're trying to piecemeal it. And we insist that
16 you put it all into one impact study, including all
17 the wastes already at Hanford and everything else you
18 want to send there in one study, and show us how many
19 people you want to kill, and how much contamination
20 you're going to put into the groundwater and flow into
21 the Columbia River. It's not going to take hundreds
22 of years.

23 How much cesium-137 is going to be in it
24 from your GNEP proposal to truck high-level waste to
25 Hanford for reprocessing? The answer given tonight

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was either disingenuous or a deliberate attempt to
2 evade the law. The law says all related proposals
3 have to be disclosed to the public and their potential
4 impacts considered in one environmental impact
5 statement. Don't give us, Oh, we don't know which
6 facilities we'll use for GNEP. You've chosen
7 facilities, you're doing an EIS, and you're
8 piecemealing it. You have to put it all into one
9 document, have one round of public hearings, and tell
10 the public at one time, when you want to ship all that
11 high-level waste to Hanford, plus the greater-than-
12 class C-like waste, and all the remote handled
13 transuranic plutonium waste, where's it going to go,
14 and what are the impacts, and how many people die?

15 Thank you.

16 (Applause.)

17 MR. BROWN: Okay. Angela is next.

18 MS. CROWLEY-KUCH: It's Crowley-Kuch.

19 MR. BROWN: Kuch? Okay. Thanks. And
20 Ruth Curpiz will follow you. Thanks.

21 MS. CROWLEY-KUCH: I'm Angela Crowley-
22 Kuch. I'm the Executive Director of the Oregon
23 Chapter of Physicians for Social Responsibility.

24 One of the problems I see with this
25 environmental impact statement is one of the problems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that represents our whole nuclear energy and nuclear
2 weapons industry. We're not looking far enough ahead
3 into the future. Not only are we not looking at the
4 waste that will be generated with GNEP program, which,
5 as we heard earlier, is the majority of the waste
6 coming from the DOE weapons facilities, but we're also
7 only looking out until 2062. That's as far as the
8 projections for this disposal are going. I might not
9 even have grandchildren by that time.

10 Are we really looking far enough into the
11 future when we're talking about radioactive waste that
12 will be around for millions of years? The EIS should
13 incorporate all current plans for new weapons and new
14 power plants, all the new waste that could possibly be
15 classified should be included, all types and all
16 amounts.

17 Secondly, there's one alternative that was
18 not included, and it needs to be included in the EIS.
19 That's called the hardened on-site storage, or HOSS.
20 When you have hardened on-site storage, there's no
21 need for transportation. It stays at the site. We
22 don't want to put anyone at risk from transporting
23 nuclear waste. We don't want to put Oregonians at
24 risk, Washingtonians, people in New Mexico. There's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no need for any of us to be at risk from
2 transportation.

3 So in the EIS there needs to be an
4 assessment of HOSS. They need to be resistant to
5 attacks, including explosive and planes, and those are
6 not usually included in the risk assessments. They
7 also need to look at specific sites for these studies,
8 not an arid site, and a humid site. All these sites
9 are different. The water tables are different. The
10 rivers are different. We need a specific study for
11 every individual site looking at all possible
12 scenarios, types of waste and amounts of waste.

13 There are a few other things that I'd like
14 to see included. The first is there needs to be
15 funding for the Washington Department of Ecology to
16 monitor this waste independently to see the levels and
17 check if anything is leaking. There also needs to be
18 funding for the Oregon Department of Energy to review
19 and comment on any transportation issues should the
20 HOSS alternative not be chosen.

21 Speaking of transportation, all routes and
22 methods need a projected cost. And in addition to
23 that, we need to have the estimates of the public
24 health costs, which are not always included, in
25 addition to accident projections.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Finally, as has been mentioned many times
2 before, we need a specific definition for what this
3 other miscellaneous DOE GTCC-like waste is. It's not
4 appropriate to have an environmental impact statement
5 when we don't know exactly what we're talking about.
6 So I'd ask that all these things be included. And
7 please look far into the future. We'll be dealing
8 with this waste for a long time. And if I have
9 grandchildren, I don't want them to be sitting at
10 these meetings like I have for the past four years.

11 Thank you.

12 (Applause.)

13 MR. BROWN: Ruth Curpiz.

14 (Pause.)

15 And following Ruth will be Catherine
16 Thomasson.

17 MS. CURPIZ: Hello. When I came tonight,
18 I signed up to speak, but I was going to say something
19 else. But I don't know that I had an epiphany, but
20 somehow I'm reminded of shock and awe and going into
21 Iraq. Nothing was ever prepared correctly. The same
22 thing, I think, is happening in regard to the
23 Trojan -- or to the Hanford. I was opposed to Trojan,
24 and then opposed to Hanford.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We're being massaged with a lot of
2 statistics that I think -- but -- but I don't believe
3 anything. I think this is a bunch of working over our
4 minds to make us think that something is being done.
5 But I don't think they know what the hell is -- that
6 they're doing. And I think that we just have to
7 stop -- not -- certainly not transport this stuff.
8 But we need to absolutely do a better job of getting
9 the word out to people and planning and maybe changing
10 who's doing when.

11 MR. BROWN: Thank you.

12 (Applause.)

13 Okay. Paige Knight will follow Catherine.

14 DR. THOMASSON: Hello. My name is Dr.
15 Catherine Thomasson. I'm the President of Physicians
16 for Social Responsibility nationally.

17 I'm concerned about the whole United
18 States, and of course the whole earth, with these
19 wastes that are going on internationally. I think
20 it's very important, of course, to know exactly what
21 the waste is, listing type and sites by state, by
22 radioactivity amount, and volume, to better assess and
23 plan for the site issues that are variable from site
24 to site, and the transportation risks involved in
25 each.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I feel that it's very important to have a
2 very clear and defined listing of the waste streams,
3 and for the DOE activities that create this waste, so
4 we know where the waste is going to be coming from in
5 the future. It's also very important to accurately
6 characterize the new sources of this waste, as was
7 stated before in terms of its future projection.

8 I think it would be fabulous if the EIS
9 included a possibility that there wasn't going to be
10 any more generation of nuclear waste, either in any
11 nuclear power plant or any additional nuclear weapon,
12 and that -- (applause) -- the savings from that would
13 help fund adequate -- to me, storage is identical to
14 disposal -- so adequate containment of this waste.

15 Obviously, as I mentioned with my
16 question, I haven't been able to find -- and I'm sorry
17 that you guys don't know any other country that is
18 doing any better job than we are in terms of storing,
19 which is equal to disposing, of this waste. It's
20 very, very important to realize that the only current
21 option that we have, which is the no-action option, is
22 to store it on-site. Well, every site is not going to
23 be able to store it on-site. So there is going to be
24 some transportation risks involved with that action.
25 But it needs to be in a manner that can be continually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 monitored, and the monitoring plans obviously need to
2 go out for centuries.

3 We need to have it hardened. We need to
4 have it safe from a variety of attacks that haven't
5 been assessed or even paid for up until this point,
6 and aren't in the budget to be paid for. But
7 obviously some of the sites are going to need to be
8 combined, and my recommendation is for an eval- --
9 further evaluation and development of the no-action
10 option, because storage and monitoring is essential.

11 If you were to go beyond the storage in
12 hardened facilities on-site in a variety of sites
13 around the country, and go to near-surface level or
14 intermediate level, it would have to be absolutely
15 crystal clear what kind of monitoring is going to be
16 done. There isn't any adequate research done on this.
17 And it's pretty amazing that no research has been
18 done, since this was legislated over 20 years ago, to
19 tell us what kind of waste storage, which is, again,
20 identical to disposal, that we could potentially have.

21 So, obviously, we need to work through
22 this EIS, through any other process we possibly can,
23 to demand new geologic deep storage that is safe from
24 groundwater and safe from geologic activity. Yucca
25 Mountain isn't happening, and we need another site.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We need another site because it's legislated. We need
2 another site because that is the best way potentially
3 to dispose, really to store.

4 The last thing I'd like to say is that I
5 think it is worth looking at the other technologies in
6 terms of how to decrease the volume of these high
7 radioactive sources and encourage the places that are
8 creating them that there are alternative technologies
9 developed so that we're not continuing to create this
10 kind of mess.

11 I thank you for your time. I know that
12 there's a lot of scientific information in this room
13 and expertise, and I know that you all are doing your
14 job, and I want to thank you so much for being here.
15 I truly do -- I mean, for us to be knowledgeable about
16 this is very, very difficult. I work on many
17 different issues, obviously. But to hear question-
18 and-answer is really helpful for us, because we don't
19 always know what questions we should be asking. So
20 thank you very much.

21 (Applause.)

22 MR. BROWN: Paige Knight. Karen Harding
23 will be next.

24 MS. KNIGHT: Speaking. I'm Paige Knight,
25 the President of Hanford Watch in Portland. We've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been around for 14 or 15 years now. And I think I've
2 been doing Hanford almost as long as I've been in my
3 current teaching job, a long time.

4 Therein lies for me one of the most
5 important things, as I really am concerned about the
6 children and future generations. I'm leaving my
7 students and my own children and perhaps grandchildren
8 with a terrible legacy. That's one of the reasons
9 I've worked on this as much as I do.

10 I'm going to address a couple of words
11 first, and then just go through my points. And I'll
12 try not to be too repetitious of things that people
13 have said, although I think it's important that you
14 hear people working on the same themes.

15 We call this waste "orphaned," which I
16 find quite fascinating. Also, at Hanford, we talk
17 about cribs where waste goes. I mean, we have all
18 these baby analogies. You know, it really bothers me.
19 I think it's a real commentary over the many years on
20 how we look at each other, and look at our children,
21 and look at the world. So I look at "orphaned" and
22 say, you know, all waste should stay at its home if at
23 all possible. You know, every orphan should stay at
24 its own home. We don't want orphans. So just a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little bit of humor there, but there's also some
2 seriousness in that comment.

3 The other thing that I want to comment on
4 in sort of that vein is, it was mentioned tonight, and
5 it's mentioned in the literature, that the volume of
6 this greater-than-class C radioactive waste is small
7 compared to all the other waste at Hanford. "Small"
8 is relative. We're talking curies, and we're talking
9 about adding to waste to waste to waste, and we have
10 no good solutions, and some terrible problems at a
11 place like Hanford. And we're not the only ones in
12 the complex that are on that wonderful list that has
13 problems.

14 This is just one of DOE's proposals to
15 bring waste to Hanford from all over the complex and
16 country. We're right now waiting for another
17 environmental impact statement to come out that was a
18 redo of the solid waste impact statement that Gerry
19 and others have mentioned that hundreds and hundreds
20 of people showed up to speak out about several years
21 ago. That EIS is looking at bringing waste in from
22 everywhere. It went back to the drawing board because
23 the logic of it and the data in it was so incredibly
24 flawed. We cannot afford to have flawed logic in any
25 of these documents -- and in the thinking. This is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all about critical thinking. And I think we have a
2 real chasm or a real black hole in our country of
3 people who are really critically thinking through
4 these issues.

5 Hanford has no treatment yet. Let's think
6 about this. We have no treatment capability right now
7 for the 54 million gallons, plus other waste, all of
8 which will leak into the Columbia River and the
9 groundwater. That also has been mentioned. The
10 Columbia River is our lifeblood. It is the lifeblood
11 of our area. We cannot continue to kill our rivers.

12 We also need -- and I mentioned this in my
13 question earlier -- a comprehensive document that must
14 include the synergistic or cumulative impacts of the
15 waste from all these EISs. That's been mentioned a
16 few times, so I won't belabor that one. But we need
17 to include all current documents, which Gerry says is
18 the law, into this document.

19 The other thing, in this little handout
20 where each site is described, I want to say your
21 description of waste management activities at
22 Hanford -- and now this is a quote from this little
23 article -- "include treatment and disposal of low-
24 level waste on-site and processing of transuranic
25 waste which is being stored at WIPP." We don't have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 treatment. We don't have this kind of activity going
2 on on-site. It is projected, but again, it's been
3 mentioned, if we're lucky, we're going to have a
4 treatment plant by 2019. And there's a really good
5 chance we won't have it by then. So these projections
6 are -- you know, they're based on pending things, and
7 Yucca Mountain is one of those pending things that's
8 been in process for over 20 years. It is millions, if
9 not billions, of dollars by now in cost overruns, and
10 we are nowhere, because it's not a great geological
11 repository. It happens to be, from my studies, a
12 great earthquake-prone area. I'm not too excited
13 about waste being stored there.

14 So the logic of picking Hanford -- and
15 maybe some of the other sites, too, but my knowledge
16 is about Hanford -- as a disposal site for this
17 greater-than-class C radioactive waste is being
18 predicated upon solutions and processes that are still
19 a dream at Hanford. We haven't met our dream yet, and
20 our dream is cleanup.

21 DOE -- let me see -- Hanford is also
22 currently not being safely managed. That's been
23 mentioned time and time again. There's truth galore
24 on that one, and I think Ron Wyden's representative
25 tonight covered that pretty well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Finally, DOE needs to give a true
2 projection of all the wastes over time, since it looks
3 like there will be a steady stream. Catherine just
4 mentioned this in her thing. I don't see this kind of
5 waste ending unless we start looking at policies where
6 we don't create this kind of waste anymore or we
7 create it minimally.

8 So we've got some real policy-type issues
9 and rethinking to do in this country about this.
10 Other countries are no further ahead in this.
11 Absolutely they're not. So we're in a real tight
12 place here. And if you are really concerned about
13 your children and your grandchildren, you will send
14 some comments in by e-mail, or, you know, the little
15 handout here. The more, the better. They have to
16 address them.

17 I just think it's amazing that all of
18 these people here have turned out tonight. I love
19 that you have come and given your time again. I also
20 really appreciate that the meeting was held here. And
21 I would request that meetings do be held in Portland
22 and Hood River for the draft EIS that comes out on
23 this, because I'm sure one will -- who knows when --
24 and that many, many more people are contacted, and you
25 get that list through the tank waste closure and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 management EIS. I mean, there's a huge list there --
2 3,000 people -- and those people are interested in
3 this. They know that no solutions have come. They
4 know that there's no -- you know, that there's, I
5 guess I would say, a big tomorrow with no answers.

6 So thank you very much.

7 MR. BROWN: Thank you.

8 (Applause.)

9 MS. HARDING: My name is Karen Harding. I
10 would appreciate being able to speak from the Hood
11 River area. We had to plan a day, because we don't
12 like to waste gas, just driving in to a meeting. And
13 so our whole day was Portland errands. And we had
14 quite a few discussions in the car, my 21-year-old and
15 my 18-year-old, who have been coming for at least 15,
16 16 years. Why do we have to do this again? It's
17 like, it doesn't do any good, they don't listen. And
18 it's like, yes, yes.

19 I have over the years released the thought
20 that it does any good. But I guess my answer for now
21 is that if you just come and listen to the combined
22 wisdom of people who are truly grappling from their
23 various disciplines, you have a tribal consciousness
24 and answer, at least a wisdom of thinking, and you can
25 compare it to the agencies who are trying, hopefully,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to do the best they can, but are not looking
2 necessarily at the larger picture. And I'm very glad
3 you're here, and thank you for doing that all these
4 years.

5 Thank you for all the people who speak out
6 with the facts and figures. I don't have all those at
7 my command. I do child care, and so, obviously,
8 children are the issue. We need to be considering
9 many generations farther into the future than this EIS
10 appears to be looking at.

11 So I am opposed to making Hanford a
12 national sacrifice zone. I would like all the facts
13 and figures put into this EIS that represent the
14 numbers of deaths that are potential, the amount of
15 money that's potential. It needs to be a much larger
16 scope, because the problem's a much larger scope.

17 I would rather not have it trucked all
18 over the country. If there's a way to solidify it
19 on-site, I would be ecstatic about that. And we need
20 to be putting that money into that.

21 I definitely agree that we need a
22 congressional mandate to have an outside commission be
23 in charge of this. It's not been working, as we are
24 well aware, to have the people who are generating it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 being paid to clean it up. It doesn't seem to be
2 working.

3 Thank you.

4 (Applause.)

5 MR. BROWN: And Liz Gilbert will follow
6 Shannon.

7 MS. PALERMO: Hello. My name is Shannon
8 Palermo. I came here with some friends from Portland
9 because my roommate, Lizzy, told me that this was
10 going on, and it really concerned me. We drove here
11 to urge the Department of Energy to take the Hanford
12 location off its list of potential sites for the
13 disposal of radioactive waste. I also want to say
14 thank you so much to all the people that came here
15 today, and also do all of the work, because it's hard
16 work going up against the Department of Energy and all
17 the powers that be. And you don't get paid for it
18 necessarily. I just am really, really thankful for
19 the physicians, for everybody that's come and spoke
20 today.

21 Our concerns are as follows. The delicate
22 habitat of the Columbia River is an important part of
23 many ecosystems. The possibility of Energy sending
24 even more nuclear waste to Hanford will compromise the
25 river. To consider disposing of even more waste in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 such a sensitive area seems short-sighted, given the
2 proximity of such a lovely river. The river's ability
3 to spread any leak contamination concerns us.

4 Public opinion continues to show that we
5 want to clean up Hanford and not increase the risk for
6 further pollution. In the case of leaked nuclear
7 waste, which, as mentioned, has already happened, and
8 therefore I do not feel confident in putting more into
9 the ground. Radiation would directly affect our
10 community. Communities feel the effects of radiation
11 in many ways, including an increase in birth defects,
12 cancer, infertility, and other tragic medical
13 conditions.

14 Finally, we are sick and tired of not
15 feeling safe to swim and recreate in the Columbia
16 River when it's right there tempting us every summer.

17 Thank you.

18 MR. BROWN: Thank you.

19 (Applause.)

20 MR. BROWN: Chuck Johnson will follow.

21 MS. GILBERT: I'm Liz Gilbert. I'm here
22 because I read an article in The Oregonian .
23 I really haven't been active about this before. I
24 really felt driven to come here tonight and do what I
25 can.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We're talking a lot about children. I
2 personally will never have children because my
3 ultimate motherly instinct tells me to not bear a
4 child into an apocalyptic world. I guess what I'm
5 saying is that I don't necessarily believe that we
6 will all survive. You know, it may be five years
7 before we're wiped out completely. But what will live
8 on are animals and plants and soils and rivers that
9 deserve respect and need honoring.

10 I am so sad, and I want to ask you
11 personally to reach deep inside of your human self and
12 ask yourself if it feels right to do this. Because
13 it's wrong. And I know that something needs to be
14 done with it, but please don't put it here next to the
15 Columbia River. This is our home. We'll do whatever
16 we can to protect it, and we will not allow it.

17 (Applause.)

18 MR. BROWN: Okay. Chuck Johnson, and then
19 Tiago Denczuk will follow you.

20 MR. JOHNSON: Thank you. I'm Chuck
21 Johnson. I'm a Board Member of Columbia Riverkeeper.
22 Just for the record, I actually haven't checked this
23 out with Columbia Riverkeeper yet, but I personally
24 favor the option number one, the no option. Although,
25 actually, I do think that the suggestion by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 representative of Physicians for Social Responsibility
2 for hardened on-site storage is probably a more
3 responsible way of dealing with it.

4 I do think, obviously, these wastes need
5 to be protected and kept close to where they were
6 generated to reduce the transportation costs and
7 risks. I don't think that we're served well by a
8 shell game of moving wastes around the country. These
9 wastes -- I asked earlier in the question period about
10 where these wastes were coming from, and specifically
11 whether they were coming from the West Valley
12 Reprocessing Facility that's been shut down for many
13 years. It's highly contaminated. And the answer was
14 that the current projected waste primarily comes from
15 that site. I just question as to whether or not it
16 makes a lot of sense to take waste from one highly
17 contaminated site and move it to another highly
18 contaminated site.

19 I've been to West Valley, and I feel bad
20 for the people who live in that area. They've got a
21 creek going through the West Valley site. There are
22 people who are downstream of that creek who want to
23 have that waste moved. I can be sympathetic to that.
24 There is an Indian tribe, the Seneca Band of Iroquois
25 Nation, that live in that area and have part of their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reservation that are downstream of that creek. But I
2 wouldn't want to put my waste in their land, and I
3 don't think they would really want to send their waste
4 to us either.

5 Particularly I think it's -- we really
6 are -- I don't really think we're ever going to
7 psychologically get a grip on what to do with this
8 waste properly, as long as we're still hellbent on
9 generating more of it. I really think that's the
10 key -- (applause) -- because as long as there's this
11 financial imperative to create more waste, and this
12 political imperative to create more waste, then
13 whatever solution is come up with is going to be the
14 most -- the easiest but certainly not the best
15 solution to what to do with it ultimately.

16 So I think we need to have a national
17 consensus. And I think we're actually -- the funny
18 thing is, this administration is crumbling in so many
19 ways right now. This global nuclear energy project is
20 going to flop and fall on its face -- thank God. When
21 it does, maybe we can finally have some sanity in our
22 energy policy and make a decision to end this nuclear
23 craziness. There's some other things that cost a lot
24 less money -- conserve energy, build wind
25 generators -- although they can be fatal, too, as we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 saw today. That's -- you know, nothing's completely
2 risk-free, but nothing compared to the hazards of
3 long-lived radionuclides.

4 So when we get to that point, then I think
5 we can have a rational discussion about what to do
6 with this stuff, and a scientific decision that isn't
7 based on expediency, and the least cost, quickest
8 option. We will figure out what to do with it at that
9 point. But until then, I favor option one, and I
10 favor option one as my default position on just about
11 any generation of radioactive material. Keep it where
12 it's generated, and put the heat on the people in that
13 place to stop generating it and figure out some other
14 way of doing -- generating energy or doing whatever
15 other activity it is that we think we want to do with
16 radioactive materials.

17 Thank you very much.

18 (Applause.)

19 MR. BROWN: Okay. I think Les Davenport
20 will be next.

21 MR. DENCZUK: My name is Tiago. I came
22 from Portland. I'm (unintelligible). I -- actually,
23 I just would like to just bring forth some feelings
24 that many people here express, and we agree --
25 arguments -- I would just like -- are just going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reenforce my personal feelings about the same issues.
2 I think the argument's represented pretty well, so I'm
3 not going to extend myself on that.

4 Mainly I feel really outraged to have to
5 be here today telling the Department of Energy that
6 this proposal is preposterous, is offensive. There's
7 a group of people here that obviously have been
8 working on caring of communities in many different
9 levels and preserving in spiritual level, ecological,
10 medical. Having to come here to just say, get out
11 here, don't come with more trash to our back yard, is
12 taking all this energy that's being focused on fixing
13 a problem that started decades ago, and have not been
14 fixed.

15 I think that the feeling of DOE not being
16 trustworthy is like no one can trust any project that
17 comes from this agency that already prove itself
18 incompetent and has no evasament (sic/ph) on really
19 cleaning our sides, on really fixing the error that
20 committed in the past, and has a lot of evasaments
21 (sic/ph) in cheap demonstrations like PowerPoint
22 presentations or PR movements. But when it comes to
23 actually planning on coming up with real solutions,
24 there's nothing. And then coming to ask to dump even
25 more trash on a broken trash can that is already

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leaking and destroying our environment is just so
2 offensive.

3 I say no. We're not stupid. We're not
4 going to just accept that. Yeah, get out of here.

5 (Applause.)

6 MR. BROWN: Okay. Dona Hippert will
7 follow you. It's Wes, is it?

8 MR. DAVENPORT: Les Davenport.

9 MR. BROWN: Les. Okay.

10 MR. DAVENPORT: I'm a consultant to
11 Washington Closure Hanford as their Criticality Safety
12 Engineer, even though I live in Battleground,
13 Washington, just about 15 miles north of here. I have
14 been the -- I have led the Nuclear Criticality Safety
15 Programs since 1985 at Pacific Northwest National
16 Laboratory, Bechtel Hanford, Incorporated, and
17 Bechtel's successor, the Washington Closure Hanford.

18 My conclusion is that we really shouldn't
19 add the greater-than-class C waste to sites that are
20 currently under going cleanup or where the water table
21 is high. That would eliminate four sites that I can
22 think of, including Savannah River, Oak Ridge, where
23 the water table is high, Hanford, where undergoing
24 cleanup, and hopefully will be nearly through with
25 most of the cleanup except the vitrification project

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 before -- in fact, quite a bit before -- the last of
2 the greater-than-class C waste is generated.

3 However, these wastes have to go
4 somewhere. They don't have a disposal path for many
5 of them at the current time. But my personal
6 preference is the geologic repository. That will
7 remain true throughout the period when they're
8 generated. However, that means that we have problems
9 with our national Congress, because they're the ones
10 that have put limits on WIPP, the Waste Isolation
11 Project -- Pilot Project in New Mexico, and also Yucca
12 Mountain, if it ever gets started. Neither one is
13 large enough to take care of all the wastes that have
14 been generated and are designated for those two sites.

15 We have a national problem. We have a
16 political problem. If you can do anything with your
17 congresspeople, please consider that.

18 Also, it was Congress -- yes, our national
19 Congress -- that shot down the Basalt Waste Isolation
20 Project that was at Hanford, and the basalt disposal
21 at Deaf Smith, Texas. They wanted to spend all the
22 money on Yucca Mountain so they could hurry up the
23 project. Didn't seem to work, did it?

24 We all accept some risks in our life.
25 When we understand them, that's okay. Some people

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 smoke cigarettes. I don't. Most people drive cars.
2 There are a lot of other things that are risky,
3 including just living. But radiation is one of the
4 unknowns in our life for many people. It's because of
5 this unknown quantity, and not being able to see it,
6 that makes many people very hesitant to accept
7 radiation risks.

8 However, we are in a radioactive
9 environment. It's natural. Potassium-40 is in our
10 bodies and everywhere throughout the earth. You've
11 heard about radiation from radon in your basements.
12 that comes out of the earth. Don't forget life-saving
13 medical radioactivity. It's necessary. There is
14 radiation from nuclear power and isotope production,
15 but that's less than is emitted by our coal-fired
16 electric generating plants.

17 We're also in a chemically filled
18 environment. They don't ever decay. They don't go
19 away. But because radioactive material, which is
20 relatively unknown, decays, we can talk about that and
21 be scared.

22 Kind of in summary of what's going on at
23 Hanford, it is being successfully cleaned up in many
24 ways. And I'm not including the vit. plant and the
25 tank waste. They're going to be a long, long, long-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 term problem. There are five reactors that have been
2 cocooned. N-Reactor's in process. B-Reactor may
3 become a museum. We'll have to wait until people
4 decide on that one.

5 Only spent nuclear fuel has been moved
6 away from the Columbia River. It's put into dry
7 storage in the central plateau. All liquid waste
8 disposal to the ground was stopped quite a number of
9 years ago, and some low-level waste, contrary to the
10 comments earlier, has been sent to a contractor near
11 Hanford, at Richland, and is put into a more stable
12 form, and then returned for storage at the Central
13 Waste Complex at Hanford until it can be properly
14 disposed.

15 Many solid waste sites have been cleaned
16 up to their ROD requirements. That's a record of
17 decision, which is the final decision by the
18 regulators and the public as to what happens. That
19 includes the hundred-F (ph) sites -- hundred-F reactor
20 of solid burial grounds are pretty much all taken care
21 of down to the requirements.

22 Hundreds of buildings have been removed
23 and debris has been shipped to ERDF. That's the
24 Environmental Restoration Disposal Facility in Two
25 West Area, where it goes into a lined below-ground

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 facility that meets CERCLA requirements. Hundreds of
2 buildings have been removed, and that includes almost
3 the entire north half of the 300 Area. If you've been
4 out there recently, there's hardly a building there,
5 two that I can think of. One's a power plant -- never
6 had any radioactivity in it. Well, the coal, but
7 that's something else again. They're down to the
8 floor slabs, and now they're starting cleanup of the
9 underground waste.

10 The last thing that I want to mention is
11 that transuranic waste is being successfully shipped
12 from Hanford to the Waste Isolation Pilot Project in
13 New Mexico. Success is happening at Hanford. Don't
14 say no.

15 (Applause.)

16 MR. BROWN: Thank you.

17 Dona Hippert, and Lloyd K. from Don't
18 Waste Oregon.

19 MS. HIPPERT: Thanks to the Department of
20 Energy for holding these hearings, and to everybody
21 for coming out and speaking at them. My name is Dona
22 Hippert. That's D-o-n-a, with one "N" for the benefit
23 of whomever is given the lovely task of transcribing
24 these testimonies of ours.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll likely be submitting detailed written
2 comments on behalf of the Northwest Environmental
3 Defense Center and Oregon Toxics Alliance. We'll give
4 you a copy of these written comments attached to that.

5 These are two groups of which I'm a board
6 member, and both of whom are very concerned about the
7 current situation at Hanford, and with any scenario
8 that will increase and compound the problem that
9 exists there now.

10 But tonight I speak to you on the subject
11 of trust and obligation. I'm astounded that there's
12 even consideration of the idea of bringing more waste
13 of any kind to Hanford Reservation. I shouldn't be by
14 now, but I still am. Considering all the problems and
15 mishaps that have happened at Hanford in the process
16 of cleaning up the waste that's already there, for
17 instance, the waste leak last month, it's simply
18 incomprehensible that the Department of Energy would
19 want to bring in more waste.

20 The most frightening example -- oh, when
21 one looks beyond Hanford, the situation gets even
22 worse. The safety record of the DOE gets even worse.
23 The most frightening example is found in the DOE
24 Inspector General's own report that came out in March
25 of this year describing the inability to locate at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 least 14 computers that held highly sensitive and
2 classified information. Six other computers were
3 missing, but they weren't sure what the information
4 was that was on those. And the state of DOE
5 recordkeeping was so abysmal that the Inspector
6 General's Office had to resort to, in their words,
7 extraordinary means to locate an additional 125
8 computers.

9 Now, in conjunction with this process, we
10 have the soon-to-be infamous slide 19 where they're
11 showing a Hanford situation as an example of something
12 that's already working, and it's actually something
13 that's not working at Hanford.

14 If parents were to exhibit the same sort
15 of neglect and incompetence that the DOE has exhibited
16 at Hanford and in its other operations, the state
17 would long ago have stepped in and removed their
18 children. And now the DOE is talking about adopting
19 more children, and ones that are difficult to manage
20 at that. And when I wrote these comments, I wasn't
21 aware of the term "orphaned waste," but it seems to
22 fit in and dovetail quite nicely with this.

23 This analogy of incompetent parenting is
24 not as far-fetched as it may seem in that our
25 resources, including our lands, waters and airsheds

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are a public trust, and we the people are the
2 beneficiaries of that trust. Although DOE may not be
3 the agency in charge of directly managing these
4 resources, DOE is charged with protecting the trust of
5 the public health and safety. As public servants, DOE
6 officials at the very least have the obligation not to
7 act in a manner that damages our resources and
8 violates that public trust.

9 In the case of Hanford, where DOE actions
10 are already contaminating the Columbia River and the
11 groundwater in the Hanford vicinity, the DOE should do
12 nothing that by any chance would compound that
13 contamination. Please do not bring this GTCC waste or
14 any other waste to Hanford.

15 Thank you all very much for your
16 attendance.

17 (Applause.)

18 MR. BROWN: Okay. How's that spelled? If
19 you can spell that for the court reporter. Thanks.

20 MR. MARBET: My name is Lloyd K. Marbet,
21 M-a-r-b-e-t. I am here representing a group called
22 Don't Waste Oregon, which many of you know has been in
23 existence for some time addressing various problems of
24 the nuclear fuel cycle, as well as the Executive
25 Director of the Oregon Conservancy Foundation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I appreciate the opportunity to provide
2 testimony. I must say it's an honor to hear the
3 testimony that's been given thus far by all of you. I
4 too very much appreciate the fact that we seem to
5 retain ourselves as a community of concern, willing to
6 come time and time again to try and provide some
7 wisdom in this process.

8 I also appreciate the fact that you've
9 changed the way in which you're holding these
10 meetings. I talked to you about that at the last
11 meeting, and I very much recognize that you've done
12 that, and I want to give you that recognition.

13 MR. BROWN: Sure. Thanks.

14 MR. MARBET: This is the second public
15 scoping meeting on a proposed EIS involving Hanford.
16 It seems now that they're happening about every six
17 months. I'm worried about what's going to come up in
18 February. It seems to me that if you're going to do
19 this scoping process -- and there seems to be now
20 redundant -- or to some degree a redundant analysis of
21 specific locations, then the efforts definitely should
22 have communication between them, and the results be
23 combined, because I'm very worried that we're not
24 seeing the bigger picture here. There's -- I think a
25 lot of people have spoken to that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I would also like to ask that Congress and
2 the U.S. Department of Energy stop presenting us a
3 fait accompli, which goes, some waste already
4 produced, more waste coming. Chuck spoke to this
5 eloquently, and I can't really say it better. I think
6 we have reached a point in time in which we have to
7 disengage ourselves from this technology and create
8 the world that we've all been striving for. Going in
9 this direction in which we allow ourselves to
10 constantly be presented this "more is coming"
11 justification is wrong and needs to be stopped.

12 If you proceed with this scoping process,
13 then I ask that it include the following:

14 First, an examination of the need for
15 further waste production, exploring all alternatives
16 which obviate that need. I'd like to see that kind of
17 analysis put forward.

18 Secondly, the EIS should provide an
19 analysis of new stabilization technologies. We want
20 to be clear that we're in the present when we're
21 examining what's available out there and how they
22 impact the justification for this proposal.

23 Third, Hanford and other existing USDOE
24 locations are being considered because of their past
25 disposal operations. They're being considered a part

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of this review process. All of these sites should be
2 analyzed based on a comparison of the problems and
3 successes of their respective operations. I think we
4 need to look back and see where we've come from, and
5 that should be a part of that scoping process. Again,
6 evaluating how the success of various disposal
7 operations have been can greatly impact what you're
8 going to find in the future.

9 Furthermore, I'm concerned with the
10 distinction that's being made between disposal
11 methods; more specifically, geologic versus surface
12 disposal. And I might add here, by the way, that I
13 don't think we would have this comparison happening to
14 us if there wasn't this underlying justification that
15 we're going to have more nuclear waste produced,
16 because I think this is the formula for cutting
17 corners in the future. Apparently, these wastes fall
18 under different regulations, government versus
19 commercial waste. Yet, safe surface disposal is being
20 considered without specifically identifying the
21 underlying justification for using this disposal
22 method at all. It seems to me that we need to know
23 where that's coming from.

24 The EIS should reveal this justification
25 with measurable criteria. And in doing so, it should

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consider what the impacts are between geologic and
2 surface disposal if there is a breach of containment,
3 which is the obvious thing that you're trying to
4 prevent. The EIS should also examine the impact of
5 terrorist activities between all disposal methods,
6 which I've not heard much, and I think that definitely
7 should be examined.

8 The EIS should examine the impact of the
9 disposal of new waste on existing cleanup operations.
10 There's so many people that have eloquently spoken to
11 this this evening, and obviously I stand with them in
12 pointing out the obvious, which is that we should not
13 put anything more at Hanford until we clean up what
14 we've already done.

15 Finally, transportation of waste between
16 all sites should be examined with the risk involved
17 for each location. I testified at the last scoping
18 public meeting, and I concluded with what I'm going to
19 paraphrase for this meeting in that testimony. We
20 have lost faith in the U.S. Department of Energy's
21 ability to find wisdom in the scoping process. But we
22 have not lost faith in the hearts and minds of those
23 who are no longer willing to put up with the faustian
24 bargain you present us. I again suggest that you
25 carefully consider the idea of siting more nuclear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 waste installations in the Pacific Northwest. Out
2 here, we are not willing to settle for anything less
3 than full accountability. We are only interested in
4 building a world that is based on peace and justice,
5 sweeping nothing under the rug, cleaning up, and
6 putting a stop to these kinds of proposals.

7 Thank you.

8 (Applause.)

9 MS. CHUDY: My name is Catherine Chudy,
10 and I live in Washington and I work in Oregon. I'm
11 also the daughter of Stanley Chudy, who worked as a
12 rigging foreman for Union Carbide, a site for the
13 Manhattan Project as it developed the atomic
14 capability that destroyed Hiroshima and Nagasaki.
15 There were 50 acres involved in the Manhattan Project
16 in Tanawanda, New York. It was a secret, bolted,
17 locked place. When the war ended, they unlocked and
18 unbolted that place, and my dad walked those grounds
19 for more than 30 years. He didn't understand the
20 risks. Someone earlier said that if we understand the
21 risks, then we can proceed.

22 Years after he retired, they condemned the
23 building his office was in. That was the infirmary
24 for the Manhattan Project. They carted away tons of
25 contaminated soil -- I don't know where -- and they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 erected barriers and hoops for those workers if they
2 could prove direct damage in the form of cancer. My
3 dad is a survivor. He has unexplained neuropathy and
4 legs he can barely stand on at 89 years old. But as
5 his daughter, I struggle to understand and know a lot
6 more than he did about such risks.

7 Hanford on this list is a bad idea, beyond
8 assumptions, beyond mission compatibility, and beyond
9 reasonable alternatives. When will they ever learn?
10 When will the Department of Energy recognize that the
11 only compatible mission, the only reasonable
12 alternative, is to clean up, and not enhance, the
13 dreadful toxicity at Hanford. This is Alice through
14 the looking glass, and the Mad Hatter is twisting the
15 language on us once again. There are no imaginable
16 physical alternatives -- no imaginable physical
17 characteristics or mission compatibility that begins
18 to justify Hanford being on this unfortunate list.

19 My friend David Hupp (ph) asked that I
20 convey his comment on the transportation risk implicit
21 in this process. He reminds us that a few years ago
22 children collected hot cars. Well, creating hot
23 trucks is a childish solution to a serious problem.
24 We should be beyond such childish solutions. But I
25 fear that, as always with the Department of Energy,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 viable answers to serious problems are still blowing
2 in the wind.

3 I am a mental health therapist, and I see
4 insanity every day. I appreciate being one of the
5 voices speaking out tonight against this insanity.
6 Thank you.

7 (Applause.)

8 MR. BROWN: Louisa Hamachek is next. She
9 will be followed by Rachel Pecore.

10 MS. HAMACHEK: I'm Louisa Hamachek of the
11 Wild Eugenians for a Safe Columbia River.

12 We of WESCR say no to the DOE proposal to
13 this current consideration for considering Hanford as
14 a site for the low-level solid nuclear waste to be
15 added to the already existing waste at Hanford. We
16 want no more waste to be brought to Hanford with any
17 level of radioactivity. We want no trucks of
18 radioactive materials passing through our town of
19 Eugene on I-5. We'll track them from Livermore Labs
20 and the San Diego Navy Base and other sites that might
21 use I-5 to make their way to Hanford. And we'll try
22 to prevent them from endangering our Valley of the
23 Willamette.

24 We in Eugene, who are stewards of the
25 upper Willamette Valley, which is a tributary of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Columbia River, do not want to risk spillage and
2 radioactive harm to the inhabitants and their
3 habitats, harm to innocent children, citizens and
4 animals. We trust that our federal government is
5 working to protect us, and we hope for that. We say
6 no to the proposed transport of radioactive waste to
7 Hanford through our area. We of WESCR recognize
8 ourselves as part of the biological category of
9 animals, and as humans are subject to the damaging
10 effects of radiation, cancer and mutations or birth
11 defects, that all animals are. The plant's genetic
12 material is also changed by ionizing radiation. It
13 leads to a diminishment of the health of our entire
14 region, and that's not fair.

15 We of WESCR want the entire Columbia River
16 watershed basin to be free of damaging toxic chemicals
17 and radiation, and insist that the Department of
18 Energy immediately prevent any further leaks of toxics
19 and radioactive liquids into the Columbia.

20 We want to have monthly reports of the
21 levels of radiation in the river from Hanford to be on
22 a website available to everyone, not to have blocked
23 websites from the Department of Energy that have
24 information not available to us, that lists a category

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of information, and we can't find any information
2 under that category. That's not fair.

3 We want to have the Department of Energy
4 removed from the responsibility of cleaning up
5 Hanford, and to have that responsibility transferred
6 to a triad of the State of Washington, the State of
7 Oregon and the Federal Environmental Protection
8 Agency, and to have the Department of Energy foot the
9 bill, pay for it. You made the mess, and you have to
10 pay for it. But you're not showing any resolve to
11 actually keep us safe. So we as citizens ask for a
12 different federal agency to take over. We want the
13 Department of Energy -- let's see -- to have this
14 transaction -- the transfer of responsibility to be
15 commenced by 2008. By the end of 2008, we want the
16 EPA to be given the task and to work with Washington
17 and Oregon.

18 Furthermore, according to the book The
19 Atomic Farm Girl by Terry Hein (ph), in the fall of
20 1946, General Electric took over the administration of
21 the Hanford Reservation. They built and ran five new
22 plutonium production reactors, two chemical
23 reprocessing plants, and 81 underground waste storage
24 tanks. These produced the nuclear liquid -- the
25 liquid nuclear waste that we are concerned about right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 now. The Cold War bomb production and pollution began
2 in 1949 when the Russians tested their own atomic
3 bomb, and the frenzy at Hanford began with a
4 desperateness to produce bombs, which led to dumping
5 of the liquids into the nearby available dirt, which
6 is now going out into the river. And that's not fair.
7 There might've been a desperation, but we presently
8 are having to deal with the mess.

9 We at WESCR hold General Electric
10 responsible for the present remaining nuclear waste
11 leaking into the Columbia River at this time. They
12 profited enough, and we call for an international
13 boycott of all General Electric products until the
14 radioactive and toxic leaks into the Columbia River
15 has been abated and verified by that triad of the
16 States of Washington and Oregon and the federal EPA,
17 as well as the United Nations, because that river does
18 not stop in Portland. It keeps going on out to the
19 ocean, and the salmon -- perhaps some of those wild
20 Alaska salmon, they spawned at the Hanford breach
21 possibly where the radioactive liquids are bubbling
22 right up in the base of the river where they're
23 spawning, and this is an international abuse, and it
24 should be brought to the United Nations, and they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should verify, as well, that Hanford has stopped
2 leaking.

3 Thank you.

4 (Applause.)

5 MR. BROWN: Okay. Rachel Pecore. Daniel
6 Swink will be next.

7 MS. PECORE: Hi. My name's Rachel Pecore,
8 R-a-c-h-e-l, P-e-c-o-r-e. I work as a water quality
9 scientist for Columbia Riverkeeper.

10 On that back panel there explaining
11 greater-than-class C waste, I'm going to quote, "Most
12 hazardous of low-level radioactivity waste/dangerous
13 to inadvertent intruders beyond 500 years. Must be
14 disposed in geologic repository unless alternative
15 method proposed by DOE and NRC." The mandate is
16 clear; the study must include how all waste will be
17 protected from inadvertent intruders beyond 500 years,
18 at the least.

19 Please consider all worst-case scenarios,
20 including earthquakes at 9.0, rising sea levels, other
21 climate change predictions, volcanic eruptions, not to
22 mention what's already been -- well, I will mention
23 what's already been mentioned -- hazards to children,
24 health hazards and the risks of transporting these
25 things on our roads.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's a lot I don't understand about
2 Hanford, and appreciate coming to these hearings to
3 learn more. I appreciate everyone who's here. I
4 learn from all of you. Hanford's an extremely complex
5 site. However, I don't understand how radioactive
6 waste could possibly be transported or disposed of or
7 stored before the vitrification plant is finished.
8 Finish the vit. plant, and then come talk to us.

9 Thank you.

10 (Applause.)

11 MR. BROWN: Okay. Daniel Swink.

12 MR. SWINK: Hi. My name's Daniel Swink.
13 I'm a resident of Vancouver, Washington, and also a
14 volunteer for Columbia Riverkeepers for water quality
15 monitoring of the Columbia River.

16 I think most of my concerns have been
17 well-expressed tonight. But one of the things that's
18 foremost on my mind has already been indicated is that
19 I don't see how the Department of Energy can even
20 consider bringing more waste in when you already have
21 plumes of toxic radioactive waste seeping towards the
22 river, and has already been discoveries of
23 radioactivity that's already reached the river, even
24 though most media does not -- has not brought that
25 forward.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This river basin serves an area the size
2 of France. That alone has so many repercussions just
3 from the river standpoint alone, not to mention the
4 airway and the transportations of vehicles and all the
5 other considerations that people have mentioned. So
6 as the one woman that mentioned before me has
7 indicated, this has repercussions that go
8 international because the river does flow into the
9 ocean. We're only just beginning to study the
10 impacts. It's one of our most recent contributing
11 pollution sources into the river. If it wasn't for a
12 lot of volunteers that are out there right now that
13 are trying to gather data on what this all means as
14 the full extent of impact, there wouldn't be hardly
15 anything going down about this.

16 I just want to make it clear that I'm
17 definitely opposed to bringing more waste in until we
18 take responsibility for cleaning up what's already
19 there. It's already been proven that we have a long
20 ways to go, and it's been a slow road getting there.
21 We need to get this waste contained that's already
22 there before we even consider bringing in an ounce
23 more.

24 Thank you.

25 (Applause.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BROWN: That concludes the list of
2 folks who had signed up to speak. So let me ask if
3 there's anybody who has not spoken yet. I've got a
4 couple volunteers of folks that have already said.
5 But let me first ask if there's anybody who hasn't
6 said anything up to this point who would like to speak
7 at this point.

8 Okay. We have one person in back. If
9 you'll identify yourself for the court reporter, and
10 if there's an organizational affiliation, you can say
11 that, too. Thanks.

12 MR. HAMMOND: Hi. My name is Terry
13 Hammond. I was born in Portland. So if I have a
14 right to fight for anyplace on earth, I guess this is
15 it.

16 I just want to take the national
17 government as a model for my response anyway, and that
18 is that we will resist your bringing weapons of mass
19 destruction to threaten us, and we will hold your
20 leaders personally responsible. We will use whatever
21 means are necessary to stop you. As been said, all
22 options are on the table.

23 (Applause.)

24 MR. BROWN: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Is there anyone else who hasn't spoken yet
2 who'd like to add something? I think you wanted to
3 add something. Oh, I'm sorry. Wait. We do -- sure.

4 MS. EARNERT: My name is Carol Earnert.
5 I'm the Women's International League for Peace and
6 Freedom, nationally, internationally and locally. I
7 wasn't planning to speak, and I'll speak very briefly.
8 But I second virtually everything that's been said by
9 those in the audience tonight. I think you're great.
10 I think you're critical thinkers. I think you really
11 care about human beings and our future. I really feel
12 for the young women who were sitting in the front,
13 because a lot of our kids have got the same feeling
14 that this is an apocalyptic time and a very dangerous
15 time.

16 So I just want to say that I think the DOE
17 should consider as an alternative looking at what
18 Henry Kissinger had said, and George Schultz, and Sam
19 Nunn; it's time to start talking about evolution of
20 nuclear weapons. And a lot of other people are saying
21 it's time to look for something besides nuclear power.
22 We've made a mistake in following this, and we've got
23 to recognize it. And we've all got to work together
24 with each other in love and caring and truthfulness,
25 and caring for those who've made the mistake, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those who have been shouting out against it. We've
2 got to turn around.

3 We've got treaties already that we can
4 support. We have other nations begging us to come
5 back to sanity. Let's help our government turn around
6 and start being a little civilized instead of acting
7 like the world's barbarians and butchers.

8 (Applause.)

9 MR. DAVENPORT: Again, I'm Les Davenport.
10 I'm a subcontractor to Washington Closure Hanford.

11 Two points that I missed during my
12 presentation. Semi-permanent storage on-site of some
13 waste is not practical. That includes medical waste,
14 the unneeded radioactive sources out in the commercial
15 world and some other places, and reactor internals
16 from permanently closed reactors. Hardening these
17 sites just is not cost-effective. It is too
18 expensive. If you look at the cost of hardening the
19 104 reactors that we have currently, it's a tremendous
20 expense. Even at Hanford, guarding the plutonium that
21 remains there in the two-thirty-four-five facility is
22 around two million dollars a year, if I remember
23 correctly. That's a lot of money for security that
24 doesn't go into cleanup.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Secondly, you have to realize that 20
2 percent of our electricity in the United States comes
3 from nuclear power. If you're so anxious to close 104
4 nuclear reactors, what do you plan to provide your
5 electricity?

6 UNIDENTIFIED FEMALE SPEAKER: Solar.

7 MR. DAVENPORT: Good. Solar is excellent.
8 So is wind power. But if you consider the amount that
9 they contribute, the cost of developing such
10 facilities, and getting them in place, that's a lot of
11 money. It is being done. It needs to be done. But
12 there is one other thing about solar and wind power.
13 They are not continuous. When the sun doesn't shine,
14 when the wind doesn't blow, it does not make
15 electricity. You need base load plants.

16 MR. BROWN: Can I interrupt for just a
17 moment? We're 45 minutes overtime. If we start
18 debating U.S. energy policy, we're going to be here a
19 long time. People can submit comments through
20 September 21st. So if you have something to add
21 that's relevant to this issue, and if you're
22 considerate of our very patient audience, if you've
23 got just one thing to add -- all right.

24 MR. DAVENPORT: Thank you.

25 MR. BROWN: You're welcome.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HEDLUND: For those of you don't know,
2 we have Operation Topoff from October 15th to the
3 24th. This is a mock nuclear attack or dirty bomb in
4 Portland. We're the only ones who's going to have
5 this. It's a national thing and involves the National
6 Guard, involves all the agencies. It's part of
7 Homeland Security deal. I just hope it's not another
8 false flag 9/11.

9 MR. BROWN: Thanks very much.

10 (Applause.)

11 MR. BROWN: Okay. This concludes our
12 meeting. I'd like to thank everybody who made
13 comments. Again, I'll remind you that you may submit
14 comments in a variety of forms through the 21st.
15 Again, thanks for turning out and remaining here and
16 listening to everybody. We are adjourned.

17 (Meeting adjourned at 9:48 p.m.)
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701